

November 8, 2010

**Attached is Transcript
of NRC Public Meeting
held on October 25, 2010**

**submitted by
Neal R. Gross and Company, Inc.**

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Public Meeting on the Potential Changes to the
Nuclear Regulatory Commission's Radiation
Protection and Guidance

Docket Number: (n/a)

Location: Silver Spring, Maryland

Date: Monday, October 25, 2010

Work Order No.: NRC-508

Pages 1-238

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

UNITED STATES NUCLEAR REGULATORY COMMISSION

(NRC)

+ + + + +

OFFICE OF FEDERAL AND STATE MATERIALS AND
ENVIRONMENTAL MANAGEMENT PROGRAMS

+ + + + +

PUBLIC MEETING ON THE POTENTIAL CHANGES TO THE
NUCLEAR REGULATORY COMMISSION'S RADIATION
PROTECTION AND GUIDANCE

+ + + + +

MONDAY
OCTOBER 25, 2010

+ + + + +

The public meeting convened at 8:30 a.m. in Kennedy Ballroom of the Crowne Plaza Hotel, 8777 Georgia Avenue, Silver Spring, Maryland, Dan Hodgkins, facilitator, presiding.

PRESENT:

FACILITATOR:

DAN HODGKINS, Consultant

PANEL MEMBERS:

RALPH ANDERSEN, Nuclear Energy Institute
ROBERT W. ATCHER, Society of Nuclear Medicine
CHERYL ANN BEEGLE, National Institutes of Health
MICHAEL BOYD, Environmental Protection Agency
STEPHEN BROWNE, Troxler Electronic Laboratories
KEVIN BUNDY, Canadian Nuclear Safety Commission
KIMYATA MORGAN BUTLER, U.S. Nuclear Regulatory
Commission
DONALD COOL, U.S. Nuclear Regulatory Commission
WALTER (LEE) COX, Organization of Agreement States
PHILIP GIANUTSOS, Energy Solutions
WILLIE HARRIS, Exelon Nuclear
LARRY HAYNES, Duke Energy

PANEL MEMBERS: (CONT.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

O. ERSKIN HICKMAN, JR., U.S. Nuclear Enrichment
Corporation
MAHADEVAPPA MAHESH, Johns Hopkins University School of
Medicine/American College of Radiology
STEVE MATTMULLER, Society of Nuclear Medicine
PETER O'CONNELL, Department of Energy
JOEL RABOVSKY, Department of Energy
KATE ROUGHAN, International Source Suppliers and
Producers/QSA Global
MICHAEL SNEE, Conference of Radiation Control
Program Directors
DUANN THISTLETHWAITE, Triad Isotopes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

8:34 a.m.

MR. HODGKINS: Okay, well, good morning, everybody. Thank you, all right. Because this is a participatory meeting, by the way, everybody, and my name is Dan Hodgkins, I'll be your facilitator.

And, just, as a facilitator, important to know, I do not have a background in the Nuclear Regulatory Commission, okay. I have a background in facilitating.

So, important to know in the sense that I will try and moderate this meeting, facilitate this meeting in a way that will keep it going.

And, a couple things to know as ground rules, is just that this is also a webinar. For those folks that are on the webinar, it's sometimes hard to participate in a way that you can see the audience's reaction, so if you could just take a breath in between your comments so that we can have some time to cogitate, think about, and those kind of things.

This particular webinar participatory meeting is not about resolving anything. It's to be heard, and so my job as the facilitator is to make sure that you all get heard in a meaningful way.

And one thing to know is--let's turn off

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our cell phones. I didn't really plan that. Perfectly.
2 Okay. One of the things is, because everybody's going
3 to be micced and there's going to be transcripts, a
4 lot of background noise will interfere with that.

5 So, beepers, phones, those kind of things,
6 if you can turn them off now, I'd really appreciate
7 it. Okay, let me do some introductions as far as who's
8 going to help us here.

9 Willie will be managing the webinar, and
10 so he might be waving at me a few times to manage
11 that. James is the transcriber, when you talk we want
12 to make sure that we can get your name, all right, so
13 say who you are and then make your comment. At times
14 we forget that. So, I may remind you, James may wave
15 his hand at you, that's what that means.

16 Everybody will have a microphone, so
17 please use the microphones in order to be heard, okay,
18 because that's the ground Rule here. We really want to
19 be heard. We're going to do some introductions of the
20 panelists.

21 For the panelists, got to keep it brief.
22 You've got thirty panelists. One minute per panelist
23 would be thirty minutes. But please remember in your
24 introduction that there are webinar participants,
25 can't do any followup with you afterwards, so give

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them an idea of what your background is, who you're
2 representing, so that they get a chance to understand
3 who the panelists are and your perspective, okay?

4 For the audience, too, just make sure that
5 you hold up your hand. We'll also have cards so that
6 if you need me to call on you, hold your card up, tap
7 me on the back, make sure, but then please use the
8 mic.

9 And we can actually use the mics as a kind
10 of a sign for me to call on you next, okay? Are there
11 any questions, comments, concerns before we get
12 started, then?

13 I think I've really taken care of most of
14 the housekeeping. For the non-webinar participants,
15 restrooms are outside to the right. We will break for
16 lunch. Lunch is on your own.

17 And then we'll come back into the room and
18 start all over again. The timing of the, we have a
19 rough draft of the timing. We'll take as long or as
20 little as each area takes, okay, and we've got two
21 days for this discussion, and so hopefully within that
22 two days, you will have enough time.

23 If there's not, further comment can be
24 made. It's still open, and I think some of those
25 details, Don Cool will take care of. Okay, so, with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that being said, I would like to introduce Mr.
2 Thaggard, will be our first introduction. And, Mr.
3 Thaggard.

4 MR: THAGGARD: Is this on? Okay. Okay, good
5 morning everybody. My name is Mark Thaggard. I'm the
6 Deputy Director for the Division of intergovernmental
7 liaison and rulemaking at the NRC.

8 The, the, on behalf of the NRC and the
9 staff, I'd like to welcome you to this, the first of
10 what we plan to have a three facilitated roundtable
11 workshops on the potential changes to the NRC's
12 radiation protection regulations.

13 The purpose of this meeting is for you to
14 help us understand implication to making changes to
15 the radiation protection standards. It's important to
16 note that we haven't made any definitive decisions
17 right now, whether or not We're going to actually
18 change our regulations.

19 This is part of the process to help make
20 that decision. We encourage both the panel members as
21 well as members of the audience to be active
22 participants. We really are looking for your, your,
23 your views, your input.

24 We especially want to know potential
25 impacts, benefits, and burdens to stakeholders if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were to make any changes to the regulations. We also
2 want to encourage you to submit comments. If you think
3 of something after the workshop, we'll, comment
4 period, is open until sometime I believe in January.

5 And so, the specific date is in the
6 Federal Register notice, but we encourage you to make
7 comments. If you think of things after the workshop,
8 again, I'd like to welcome you and on behalf of the
9 NRC, I'd like to thank you for taking time out of your
10 busy schedule and, you know, coming to engage with us
11 in what I believe is a very important topic. So, with
12 that.

13 MR. HODGKINS: Thanks so much. And, one of
14 the other things we'll do is exercise our skill sets
15 with microphone management, okay. And so I'm going to
16 turn it over to Don. Don, will you make the comment
17 from your seat, or will you use the mic? You're going
18 to use that mic? Okay, so everybody, can you give them
19 a quick test on how to use those mics? Has everybody
20 used one before? Push it down, talk?

21 DR. COOL: Push it down and hopefully it
22 works.

23 MR. HODGKINS: Yes, it looks--sounds good.

24 DR. COOL: All right. So, at this moment,
25 just let me add my welcome to each of you in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process. This is, I would like to emphasize, what mark
2 also said. This is an opportunity to hear from each of
3 you and from each other.

4 It's not our desire that this be a whole
5 series of one on one discussions where each of you are
6 addressing the NRC.

7 PARTICIPANT: Don, you're not, you're not
8 coming through.

9 DR. COOL: Okay. So, folks, you're going to
10 have to swallow for the microphones. Is that a little
11 bit better for the webinar?

12 PARTICIPANT: It's better. Much better.

13 DR. COOL: Okay. So, we'll have to be
14 careful of that. You're going to have to lean over,
15 talk about that. What I'm in hopes that each of you
16 will be doing, is giving us your thoughts and views.
17 The operative question today is, why?

18 We have heard lots of things already in
19 our discussions over the past year about particular
20 view points related to some of these possible changes.
21 What we really need to dig into is the whys that go
22 behind those viewpoints.

23 What will work, what won't work. What are
24 the issues, what are the implications. Because what we
25 as an NRC staff will need to do is take all of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information and develop a policy proposal for our
2 commissioners to consider and make some decisions on.

3 So, this is one of your chances to give us
4 the reasons why we should or shouldn't consider
5 certain directions, so that we can try to write all of
6 that down, assemble it together.

7 Will everyone agree on a particular
8 direction? No. Not expecting that at all. What I'm in
9 hopes is that we can perhaps see some themes, but that
10 we can really understand the differences within the
11 different types of license uses that we have at the
12 Nuclear Regulatory Commission in the states, and in
13 other activities.

14 So this is really your opportunity to
15 reflect to each other, and to help us understand in
16 detail so that we can continue this particular
17 process. Thank you, Dan.

18 MR. HODGKINS: And then, Kim, would, you
19 wanted to make a couple comments as well? You're okay?

20 DR. BUTLER: I just wanted to say, good
21 morning and thank you for, especially for the
22 panelists, for attending the workshop, and we look
23 forward to your comments.

24 PARTICIPANT: You're not coming through at
25 all, Kim, We're on the webinar.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. BUTLER: I just wanted to welcome
2 everyone to the webinar, and to the conference,
3 especially the panelists, and our attendees. I wanted
4 to encourage, as Don and Mark Thaggard mentioned,
5 active participation this afternoon and this morning
6 and we look forward to your comments.

7 MR. HODGKINS: And so now we'll do the
8 panelists, all right. And Kate, I saw you warming up
9 there. So you got to speak directly into the
10 microphone, if you will, want to go ahead?

11 MS. ROUGHAN: Kate Roughan from QSA global,
12 and also representing ISSPA. We're a manufacturer of
13 industrial radiography sources for, excuse me, seal
14 sources and devices for industrial radiography, oil
15 well logging, calibration, and brachytherapy.

16 We manufacture and distribute sources
17 worldwide so we deal with a lot of different
18 countries' rules. I also represent ISSPA, which is the
19 International Source Suppliers and Producer's
20 Association. Obviously it's an international Committee
21 for manufactures to ensure We're going in the right
22 direction with regulations, insurance, safety and
23 security. Society.

24 MR. HODGKINS: Excellent job. Thank you so
25 much. Next?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. THISTLETHWAITE: Good morning. Duanna
2 Thistlethwaite from Triad Isotopes. Representing
3 medical use licensees from the nuclear pharmacy
4 perspective, I from a commercial nuclear pharmacy
5 background. Started out in low energy and now I'm on
6 the high energy PET side in PET quality.

7 MR. HODGKINS: Thank you very much.

8 MR. STAFFORD: Hello. I'm Mike Stafford,
9 Oak Ridge National Lab. I work for UTILIZE Battelle,
10 that's the university of Tennessee, Battelle. And,
11 We're in the, I guess the research end of what's going
12 at ORNL.

13 We've got a variety of different
14 radiological hazards that we manage. We are under 10
15 CFR 835 so We're, We're a DOE entity. So We're not
16 necessarily directly affected by this discussion about
17 Rule change.

18 We're, we do interface a lot with
19 agreement states and other entities that are under
20 part twenty, but we also recognize the inertia of DOE
21 and NRC wanting to stay close together. We've
22 weathered the Amendment change to 835 that brought us
23 into agreement with ICRP 60. So, we've got some
24 experience with that. And, anyway, glad to be here.

25 MR. HODGKINS: Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SNEE: Good morning. Mike Snee. I'm
2 representing the conference of radiation control
3 program directors, for my day job over at the, for the
4 state of Ohio, bureau of radiation protection.

5 MR. MATTMULLER: Good morning. I'm Steve
6 Mattmuller, chief nuclear pharmacist at Kettering
7 Medical Center in Kettering, Ohio, where we also have
8 a cyclotron production center. And my other hat is for
9 the Society of Nuclear Medicine, as one of their
10 representatives.

11 MR. HODGKINS: Welcome.

12 MR. HAYNES: Larry Haynes, representing
13 Duke Energy and the power reactor sector. One of three
14 folks here on the panel for that. I'm also a member of
15 the north Carolina radiation protection Commission,
16 and I am the fleet scientific service manager for
17 Duke.

18 MR. HODGKINS: Thank you so much, welcome.

19 DR. MAHESH: Good morning. My name is
20 Mahadevappa Mahesh, I'm representing American College
21 of Radiology. American College of Radiology is a
22 professional organization representing more than
23 36,000 radiologists, radiation oncologists, nuclear
24 medicine physicians, and medical physicists.

25 My profession is, I'm a medical physicist.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I work as a chief physicist at Johns Hopkins Hospital
2 in Baltimore, Maryland. I'm also the assistant
3 professor of radiology and cardiovascular at Johns
4 Hopkins.

5 My background is in clinical physics and
6 so I'm heavily involved with the theroscopy and
7 interventional theroscopy at the hospital. These, some
8 of these rules changes are going to directly impact
9 and that's why I'm very much interested. Thank you.

10 MR. HODGKINS: Thank you so much for your
11 participation today.

12 MR. GIANUTSOS: Good morning. I'm Phil
13 Gianutsos, representing energy solutions. We're a
14 worldwide company with about 5,000 employees at
15 present. Our primary focus is proper management of
16 hazardous and radioactive materials, protecting
17 people.

18 I make sure environmental impacts are at a
19 minimum. I personally represent the processing
20 facility that we operate in oak ridge for low-level
21 radioactive waste. We operate under, in a variety of
22 facilities, a handful of different agreement state
23 programs, multiple NRC licenses, with all the nuances
24 that go into the part twenty and agreement state
25 equivalent regulations. So We're very interested in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how this, this proceeds. Go from there.

2 MR. HODGKINS: Thank you so much.

3 MR. HARRIS: Good morning. Willie Harris,
4 Director of radiation protection for Exelon nuclear.
5 I'm here representing power reactor sector.

6 MR. HODGKINS: Thank you.

7 MR. O'CONNELL: Good morning. I'm Peter
8 O'Connell, Department of Energy, Office of worker
9 health and safety policy. And our Office is
10 responsible for the equivalent of 10 CFR 20. DOE uses
11 10 CFR 835.

12 As Mike mentioned, back in 2007, we
13 updated our regulation to follow ICRP 60, the
14 dosimetry terminology and units. We didn't update the
15 dose limits. So, I think we have a lot of lessons
16 learned and growing pains that we could share with
17 you.

18 MR. HODGKINS: Excellent.

19 MR. COX: Hello. Lee Cox, state of North
20 Carolina. I'm here representing the organization of
21 agreement states. The states not only regulate
22 radioactive material but we regulate all types of
23 radiation and We're very interested in this
24 discussion. Thank you for allowing us to be here.

25 MR. HODGKINS: Welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HICKMAN: Good morning, I'm Erskine
2 Hickman. I'm the radiation protection manager at the
3 United States enrichment corporation in Paducah,
4 Kentucky. We have worldwide customers that use our
5 enriched fuel.

6 Here representing our company and I have a
7 background in power reactors and fuel cycle.

8 MR. HODGKINS: Welcome.

9 MR. BUNDY: Good morning. I'm Kevin Bundy.
10 I'm with the Canadian Nuclear Safety Commission. We've
11 introduced the ICRP recommendations in May of 200, so
12 I hope I can offer some experience and some lessons
13 learned.

14 MR. HODGKINS: Excellent. Wonderful to have
15 you here, welcome.

16 MR. BROWNE: Good morning. I'm Stephen
17 Browne. I'm with Troxler Electronic Laboratories. I'm
18 the corporate radiation safety officer. I'm
19 representing our company, which manufactures portable
20 nuclear gauges that are distributed around the world,
21 and also customers who use those gauges.

22 MR. HODGKINS: Thank you. Welcome.

23 MR. BOYD: I'm Mike Boyd, I'm a senior
24 health physicist for EPA's Office of air and
25 radiation, radiation protection Division. I'm the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Federal guidance team leader and have a lot of
2 interest in what's going on here. Thanks.

3 MR. HODGKINS: Thank you. Next?

4 MS. BEEGLE: Hi, I'm Cheryl Beegle. I work
5 at the National institutes of health in Bethesda,
6 Maryland as an administrative supervisor in medical
7 imaging. I've worked for over thirty years in the
8 field of medical imaging, and I'm here basically to
9 represent the medical use provider in their interest
10 in dose exposures. Thank you.

11 MR. HODGKINS: Thank you.

12 DR. ATCHER: I'm Robert Atcher. Two
13 corrections to my list on the participants. I'm the
14 past President of the society of nuclear medicine,
15 representing 17,000 physicians, technologists,
16 pharmacists and scientists. The other one is my mail
17 stop is now "T" as in Texas, 004.

18 I am a radiophamarceutical chemist by
19 training. I'm also the Director of the National
20 isotope development center for the Office of nuclear
21 physics and the Department of energy. I also have a,
22 an appointment at the university of New Mexico in the
23 college of pharmacy as the UNM LNL professor of
24 pharmacy.

25 MR. HODGKINS: Welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ANDERSEN: Good morning, I'm Ralph
2 Andersen with the nuclear energy institute,
3 representing the nuclear energy sector, fuel cycle
4 facilities, and nuclear power reactors.

5 MR. HODGKINS: Well, welcome, everybody. I
6 don't see any additional folks here. Now, from the
7 webinar standpoint, everybody heard that, okay, and so
8 I want to commend you all on your microphone skills.
9 Looks pretty good from my perspective, and it sounds
10 like the webinar folks are also pleased with what's
11 going on.

12 PARTICIPANT: Not exactly, I think the, the
13 sound comes in and out and I think the folks have to
14 get close to the mic to get a good, good pickup.

15 MR. HODGKINS: Okay, so remember, as Don
16 Cool said, eat your mic. Okay, so here's what We're
17 going to do. We're going to have some presentations,
18 just as far as the issue, an overview of that, and
19 then we'll open it up to the panelists first to have
20 their feedback and discussion.

21 It doesn't mean that we need to hear from
22 every panelist, but certainly if you have some view or
23 perspective, we do want to hear from you.

24 We will then open it up to the audience
25 and the webinar participants for their information and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feedback, and then once again, if the panelists would
2 like to, or anybody, really, wants to give some
3 feedback, feel free to do so.

4 Okay, everybody understands? Any questions
5 as far as the structure? And with that, I'm going to
6 turn it back over for Don Cool to start our
7 presentations.

8 DR. COOL: So, good morning. Okay, I have,
9 I don't particularly like to be tethered to my chair
10 when I'm talking. I suppose that years ago if they had
11 known such things as ADD or otherwise I would have
12 fitted into the borderline category.

13 I like to move around. What I want to do
14 in this first little block of discussion is give you
15 all some background on what got us into this, where we
16 are in the process, what sort of information so that
17 we all have a pretty much same basis upon which to
18 discuss the particular issues that we're going to be
19 discussing today.

20 So, as this slowly scrolls up, and
21 hopefully the webinar folks will be able to see these
22 slides. ICRP, the international Commission on
23 radiological protection, has for a long time provided
24 various recommendations for radiation protection.

25 They got started in the medical sector way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back in 1928, so they've been around for a little
2 while. For those of you who have never particularly
3 tried to figure out who ICRP is, they're actually an
4 international charity, non profit organization under
5 the international Congress of radiology.

6 They got their start on the medical side.
7 An international group of folks from all different
8 countries and disciplines to provide recommendations
9 and radiation protection. There were a whole series of
10 those published over the years.

11 The ones that are of particular interest
12 to us at this point are the recommendations from 1959
13 and 1960, ICRP publication two. The recommendations
14 that were updated in 1977, ICRP publication twenty
15 six, and the scientific information that went along
16 with that, that was ICRP publication thirty.

17 The 1990 recommendation update, which was
18 publication sixty that Pete O'Connell mentioned, from
19 the Department of energy standpoint, and now the most
20 recent update, which was made available in late 2007,
21 ICRP publication 103.

22 Now, for those of you who are wondering,
23 why do I list all of those different ICRP publications
24 as potentially of interest. Well, in the United
25 States, we have three different generations of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations all active at the same time.

2 As many of you know, depending on what
3 part of the regulations you're working under, you may
4 be still dealing with the concepts from 1959. You may
5 be dealing with the concepts from 1977, you may be
6 dealing with the updated methodology that was given
7 you by the license conditions from 1990.

8 So part of the process that we are in now
9 is to try and figure what the appropriate things to do
10 are, and perhaps actually start to catch ourselves up
11 from all of the different generations, okay.

12 Now, just to give you a very brief
13 overview of publication 103. And my intent today here
14 is not to lecture, but just to make sure that
15 everybody sort of has the same set of understandings.

16 ICRP and publication 103 consolidated a
17 whole bunch of things that have happened over the
18 years. They updated the science but did not change the
19 basic dose limits.

20 Nor did they conclude that there was a
21 significant change in the underlying radiation risk
22 detriment that was associated, how much risk there was
23 associated with a given amount of radiation.

24 They did change the organization of their
25 recommendations, from a process based, you may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remember, practices and interventions, to a situation
2 based, where the recommendations were based on, could
3 you plan for an advance, planned situations.

4 Essentially everything that we are talking
5 about here today. Existing situations, that which
6 already exist and you have to decide to do something.
7 Mike Boyd and the EPA folks deal with that all the
8 time in the radon program, for example, radon in homes
9 is an existing situation, for example.

10 And emergency exposure situations, which
11 hopefully never actually occur but where something has
12 happened that you did not plan, that you did not want
13 and you need to do something immediately to provide
14 protection. ICRP stated that their intention was to
15 try and continue to have some stability in their
16 fundamental principles being unchanged, that is that
17 you needed to justify the exposures.

18 You needed to try and optimize protection,
19 the international word that always get used for, as
20 low as reasonably achievable, keeping doses as low as
21 possible, under the prevailing circumstances, and dose
22 limits.

23 They did not change the dose limits in
24 1990. But, in publication 103 from 1990. Let me
25 correct that. What did change, of course, was the dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limits changed from 1977 to 1990 and that's why those
2 discussions are on the table today.

3 Now, the long history of part twenty.
4 Short and down to one slide. Most recent Rule making
5 was completed in 1991. It took twelve years to develop
6 that regulation. It was actually started in the late
7 seventies, right after the ICRP publication twenty six
8 came out.

9 It was finally published in 1991, became
10 effective in 1994. So it's based on ICRP 26 from 1977,
11 with some of the additional information that was
12 available at that time. For example, we knew before
13 the proposed Rule came out that the ICRP was proposing
14 to lower the public dose limit to 100 millirem, one
15 millisievert.

16 So that was part of the Revision of part
17 twenty. The changes to the occupational dose limits
18 were not available during the development process, and
19 so they were not included when the NRC updated the
20 regulations in 1991.

21 In addition to that, there are a number of
22 NRC regulations that were not changed at that time.
23 Those regulations which had their own specific dose
24 criteria rather than being cross references to part
25 twenty. Some of those were not updated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That's why on Wednesday, for example, when
2 we continue discussions more specifically related to
3 the reactor effluence, you'll see that that discussion
4 starts with the basis from 1958 and 1960 ICRP 2. So
5 that's part of the process that We're trying to work
6 our way through.

7 Many people have said, well, how come the
8 NRC has not long ago updated part twenty? I mean, DOE
9 went through the process, and got 835 on the street
10 just a couple years ago. How come NRC, you have not
11 updated your regulations, because 1990 was quite a
12 while ago.

13 And the answer is actually quite
14 straightforward. We knew in 2000, 2001 that ICRP was
15 beginning to talk about an update of their
16 recommendations.

17 The NRC staff actually went to the
18 commissioners and said, we have several options but
19 the staff recommends that we wait to see what ICRP may
20 update and then try to take action at that point
21 rather than initiating a process, getting all done
22 with rulemaking and finding ourselves in the same
23 position that we were in 1991 where we had gone
24 through a long process, expended lots of resources,
25 and there as a new set of recommendations that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just coming out that might be different.

2 The Commission actually agrees with us, so
3 we have been watching, interacting with ICRP
4 commenting, but not actually making any changes thus
5 far.

6 Once ICRP completed their work, the staff
7 did an analysis, went to our commissioners, in
8 December of 2008 and said, Commission, having looked
9 at the updated recommendations, we think there are a
10 number of places that certainly warrant discussion.

11 We actually recommend to you, Commission,
12 that you allow the staff to begin engaging the
13 stakeholders in developing the technical basis and the
14 regulatory basis that would be necessary to eventually
15 do a proposed Rule.

16 The Commission spent a little bit of time
17 cogitating on that. They agreed in April of 2009 and
18 we have been in this process since then. So we've
19 already been in this discussion for a fair bit of
20 time, trying to develop some of the materials.

21 We have benefitted from discussions with
22 many of you in a one on one sort of fashion to try and
23 get an understanding of some of the issues. Our
24 objective was and continues to be the try and explore
25 the implications of greater alignment with the ICRP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations.

2 There's a couple things that are really
3 important in that phrase, and that wording is copied
4 directly from the commission's direction to the staff.
5 That's why that looks very formal. That's what the
6 staff, Commission told us to do.

7 It's got to be scientifically justified.
8 There's got to be a basis for making these changes.
9 We're just not going to go off and do a change without
10 any basis at all. Greater alignment. Doesn't mean that
11 the Commission has already decided, We're going to
12 adopt 103.

13 We're in the process of figuring out what
14 makes sense. Some things probably make sense. Others,
15 perhaps not. Or, in some modified form. So that's what
16 We're looking at.

17 We have believed and continue to believe
18 that the regulations provide adequate protection.
19 That's our legal basis for all of our regulatory
20 stance. And I know that my lawyer sitting over here in
21 the corner will make sure that I stay on that mantra.

22 We have adequate protection. But the
23 question is, what are the benefits and the burdens
24 associated with revising that framework? Because you
25 can always do some Revision within that discussion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have it function better, for international
2 consistency, and there's certainly a lot of discussion
3 going on.

4 Many of you are in global organizations,
5 you're having to deal with the ICRP's recommendations
6 as implemented in various countries, in the European
7 union and otherwise. And that mismatch, I expect,
8 causes you problems.

9 Part of what we want to hear is what kind
10 of problems those cause, and to what extent that
11 constitutes a reasonable basis for us to be making
12 some changes to improve the international consistency
13 and alignment of the discussions.

14 For the past year we've been in what I'd
15 like to terminology phase one. We've been interacting
16 with each of you individually. We're now trying to do
17 at, this set of workshops, where we get all of you
18 together. So, as I mentioned a moment ago, instead of
19 one on one discussions back and forth, all of us can
20 reflect together and build upon the experiences that
21 we have, the Department of energy having implemented
22 publication sixty and having gone through some of
23 those painful processes.

24 Our friends from the National lab, who get
25 to implement that and can share a little bit of light

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on some of the processes they went through, as well as
2 their interactions with the states. My colleague from
3 Canada, the Canadians have implemented the publication
4 sixty recommendations are looking at 103.

5 We have a lot of experience here to try
6 and draw out and put on the record for today. The
7 comment period for written comments to follow up, this
8 is actually open through the end of January.

9 I suspect most of you when you leave and
10 you try to find your way back through the construction
11 zone to get to Metro or whatever it is, you'll have
12 some of those a-ha moments, and you'll think of
13 things.

14 Write it in. The record will stay open. We
15 encourage all of you to continue to provide that
16 information for us.

17 So, this set of meetings here and in L.A.
18 next week and in Houston the week after, the wide
19 variety of stakeholders, as you can tell from the
20 introductions, and we have that similar diversity all
21 around the room, behind, to give us those viewpoints.

22 To hear you on the issues, to explore the
23 implications, in great detail. And the inevitable
24 question, so, what are you going to do with all of
25 this? Trying to assemble the viewpoints, we have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 try and develop our basis for a policy issues paper
2 that would go to our commissioners.

3 The commissioners will, after we've given
4 that to them, about this time next year, give the
5 staff some direction. We agree to do this, or we don't
6 want you to do that, or explore this further.

7 And then we would start the process of
8 completing that technical basis and actually working
9 on a proposed Rule. There will be opportunity for more
10 public comment, more discussions. As we've already
11 said here a couple times, we do not have a particular
12 proposal on the table.

13 So, this is not the defend your particular
14 viewpoint time. That time will come, but it's not now.
15 This is the time to say, what will work and will not
16 work in the process.

17 And so, with that, Dan, I would turn it
18 back to you to see if there are questions in any
19 general discussions or initial thoughts on this
20 process and the background upon which We're doing
21 these discussions before we actually start to work on
22 the particulars of each of the issues. Thank you.

23 MR. HODGKINS: Okay, so this is--so this is
24 a chance for us to practice a little bit, as far as
25 the panelists, any questions as far as the background

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information? None heard.

2 Anybody from our webinar have any
3 questions, concerns, and how about anybody from the
4 audience, as far as questions and concerns?

5 Okay, it seems like that was a great
6 introduction, Don, and that everybody is now
7 understanding the background. What we have, we do have
8 one person from the webinar. Is that right?

9 PARTICIPANT: Yes.

10 MR. HODGKINS: Okay, so, can we have that
11 question asked? I guess not--

12 PARTICIPANT: I don't have any questions.

13 MR. HODGKINS: No questions. Okay. With
14 that, right now we are schedule for a break, a ten
15 minute break. It seems like to me we can go to the
16 first before we go to the break. Is everybody nodding?

17 Okay, so let's go to the very first one.
18 Don, I had it back to you. I--you were going to use
19 the ten minutes to prepare for the next one, I get it.
20 Technical difficulties here, folks. Hold on. "Your
21 computer might be at risk".

22 DR. COOL: I'm sure the computer's at risk.
23 They're letting me touch it. All right then. We'll go
24 ahead and move forward into the first of the major
25 issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Let me just note as we start this that
2 while we laid out, as Dan said a little bit ago, a
3 rough schedule, we will work through these to the
4 extent that we can have that discussion, but We're not
5 limited by a particular period of time.

6 But we do hope to really get into some of
7 the details in discussion. So, the first issue that we
8 wanted to talk about here today are the questions of
9 effective dose and the numerical values that get used
10 within the regulations.

11 So, what is total effective dose? I
12 actually had a call the other day from someone who was
13 asking me some questions to make sure that they had a
14 clear understanding of some of these concepts.

15 And so I thought perhaps it would be
16 useful to give everyone a very quick tutorial on some
17 of this. Total effective dose equivalent, TEDE. Some
18 of you pronounce it as "Teddy", and I'll do my one
19 little standing joke for the day, no, I don't mean a
20 little fuzzy bear.

21 But we've all used TEDE, teddy, for a
22 number of years. We've all sort of gotten used to
23 that. By the way, that terminology never shows up in
24 any of the ICRP recommendations. That was a construct
25 that the NRC put in place because like all good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulatory agencies, you have to know what you're
2 referring to.

3 And ICRP always wrote out the sentence,
4 the sum of the dose from exposures external to the
5 body and the dose from materials that were taken into
6 the body. So they would have this long sentence.

7 And, every time you write out a sentence,
8 everyone tries to figure out if you've written it
9 exactly the same. So, like all good regulatory
10 agencies, we coined a terminology. And that's how TEDE
11 came into being.

12 It is, very simply, the dose from the
13 external exposures reported as the deep dose
14 equivalent, that is, the dose on your badge at the
15 color or whatever it is, the point of highest exposure
16 on the body, summed with the internal exposure as the
17 committed effective dose equivalent, that is, an
18 intake of radioactive material into the body,
19 calculated including all of the distribution and
20 retention in the body for however long it stays in
21 there, up to fifty years.

22 Now, several years ago, the NRC did amend
23 our regulations to allow the use of effective dose
24 from external sources rather than the deep dose
25 equivalent. Now, you can still use deep dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equivalent as your method of demonstrating compliance,
2 but you don't have to.

3 You can use one of several standard
4 formulas that have actually been recognized by the NRC
5 that allows for use of multiple badges and other
6 things to get a more accurate representation of the
7 dose to the body from the external sources.

8 That's particularly important for some of
9 our friends, like the interventionalists, for using
10 fairly lower energy x-rays and otherwise, and if you
11 have the lead apron, then you're protecting most of
12 the significant parts of the body. So the dose on the
13 collar is not at all a good representation of the
14 actual risk.

15 So that has become a fair bit of an issue
16 for some of the categories of licensees. And that's
17 already in place now, in the NRC regulations. It's
18 still in the process period of time, where the
19 agreement states have the opportunity to update.

20 And as I said, you can still use a deep
21 dose equivalent, the badge on the collar, as a
22 demonstration. It's the most conservative approach to
23 demonstrating compliance.

24 So, what is total effective dose, or
25 effective dose? Well, over the years there have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some modifications in the tissue weighting factors and
2 radiation weighting factors that We're going to be
3 talking about in a couple minutes.

4 The ICRP changed the terminology along
5 with some of the details of the calculation, moving
6 from quality factors to biological effectiveness and
7 went from dose equivalent to just saying effective
8 dose. But the underlying concept is still the same.

9 Those of you who are in the details of
10 dosimetry can give a very long lecture of the details
11 of what the differences are between dose equivalents
12 and the effective dose. I'm not going to try and do
13 that here.

14 Just recognize that it is still the sum of
15 the external exposures, as an effective dose from a
16 source external to the body, and the committed
17 effective dose from the intake of radioactive
18 materials into the body. But it is a different
19 terminology.

20 So, for those of you who like nice
21 graphics, you're not going to be able to read all of
22 the details of this, but you can actually go through
23 the process. ICRP now actually has specific voxel
24 phantoms of the male and the female.

25 They can go through a very detailed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculation of how the body receives the radioactive
2 material, radioactive material moves through the body
3 and reaches the summation that gets you to the
4 effective dose.

5 Underlying that are a couple of concepts
6 that are important depending on the kind of licensee
7 that you are. The first is the radiation weighting
8 factor. Different types of radiation have different
9 effectiveness in terms of introducing or inducing
10 health effects within the body.

11 The basic reference point, photon, gamma,
12 x-RAY, types of energies. Protons, a little bit more
13 effective of a particle, it's much more effective. The
14 significant change that happened here in 2007 with
15 publication 103 is the changes in the neutrons, where
16 they went to a smooth function to do the calculation,
17 rather than a series of individual step changes.

18 Now for most of you, our licensees, that
19 probably is not something that you're interested in.
20 But some of the folks from DOE and otherwise who do
21 that all the time, that was a pretty big change in the
22 process.

23 The other thing I'm going to note here
24 because it will come up in some of the discussions
25 that you hear in a minute is when the U.S. National

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 academy of science's BEIR-VII report came out a couple
2 of years ago.

3 And in followup discussions that EPA has
4 had with their science advisory Board in developing
5 what they call the blue book, and I hope that Mike
6 will help me out a little bit in this discussion.

7 They're actually looking at the
8 effectiveness of some of the very low energy photons
9 and electrons, the beta particles, such that for
10 tritium and some other things they may assign a higher
11 effectiveness, which means that they would be more
12 effective and change some of these calculations. That
13 will be important for some of you.

14 The other factor that goes into this is
15 the tissue weighting factors. These are defined in
16 part twenty today from 1977. They've been updated
17 several times.

18 The latest update, the big change was that
19 associated with the genetic component, that is dose to
20 the gonads, which is now seen to be a smaller
21 contributor to the overall risk to the human body than
22 previously estimated.

23 So, all the numbers got reracked a little
24 bit because all the weighting factors have to sum up
25 to one. For some reason, we have to believe that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whole body is a whole body and it has to be, has to be
2 one.

3 So there are some changes that are
4 associated with that. Those two things in combination
5 together get you to a new calculation of what each
6 radionuclide would contribute in terms of the
7 exposure.

8 Those are called dose coefficients. ICRP
9 is now in the process of calculating new dose
10 coefficients. Those dose coefficients are what gets
11 used to calculate the annual limits of intake, draft
12 air concentrations, in part twenty.

13 So they're in the process of doing those
14 calculations. And we will be taking a look at those,
15 and people say, well, what will the differences be.
16 And unfortunately, I can't tell you today because
17 they're in the process of calculating those still.

18 I am told by Keith Eckerman down at Oak
19 Ridge National Laboratory that there will not be large
20 changes from the set that was in support of ICRP
21 publication sixty. But there will be some minor
22 modifications.

23 The first of those sets of values should
24 be available late next year. The other thing that will
25 be important, and again, I think Mike can, Mike Boyd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can help us a little bit in this, is that there will
2 also be a set of calculations that are done specific
3 for the U.S. population.

4 One of the things to keep in mind is that
5 ICRP is an International organization, is calculating
6 it base don a global average of the different risks in
7 different populations. So an Asian population, a
8 European population, American population, otherwise.

9 And we know that there are some
10 differences in the underlying cancer risks in an Asian
11 population versus the U.S. population. The EPA is in
12 fact supporting some calculations which are more
13 specific to a U.S. population and therefore will also
14 have some slight differences from that which ICRP puts
15 out.

16 So, as ICRP prepares this, as I was just
17 noting, they're preparing that information. EPA
18 preparing their information, and there will be some
19 differences. So one of the questions that you will see
20 as we start to go through this discussion, is which
21 should we use and why.

22 So, as we begin this discussion today,
23 there are several options which the staff put out for
24 initial consideration. One, as with all good
25 regulatory agencies, you can always decide to not make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a change, that nothing in the background or
2 information warrants a particular change.

3 You could remain as total effective dose
4 equivalent, you could keep all of the numbers from
5 1977, we could just leave things are.

6 We could decide to change to the current
7 ICRP terminology, express it as total effective dose.
8 We could perhaps even have some mechanisms where both
9 terms could be recognized.

10 Now, you're saying well that doesn't seem
11 like a very big change. Well, perhaps it doesn't when
12 We're talking about it here, but when you start to
13 look at all of the records that each of you have to
14 keep, all of the labeling, perhaps all of the posting
15 and other things, changing terminology has some
16 ramifications as it goes through the process that we
17 need to consider the implications of.

18 There's also, of course, the actual
19 changes to the underlying numeric values. So, there
20 are a set of questions that we want to explore. What
21 are the potential impacts of changing the actual
22 terminology itself, pros and cons and implications
23 associated with that.

24 The impact specific on records and reports
25 because people have told us that that will be an issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and we need to explore that. In addition to that we'd
2 like you to consider some of the possible options on
3 the numeric values.

4 Again, obviously we don't have to change.
5 We can bring in the updated methodology and science,
6 the models and information. Some of that is available
7 now, some of that is not yet available. There are a
8 number of questions associated with that.

9 What are the foreseen impacts? ICRP is not
10 going to be completed with all the calculations until
11 2013 to 2014, and we know how schedules can possible
12 slip. So We're interested in what the impacts of those
13 are.

14 Should we be considering moving forward in
15 an interim basis, taking some of the initial
16 information and subsequent amendments later, as they
17 become available? Should we be looking at the values
18 that the ICRP develops, or should we be using the
19 values that EPA develops?

20 Today, part twenty is based on the ICRP
21 numbers from 1977, so there are some slight difference
22 form that which is in Federal guidance reports eleven
23 and thirteen, which were done later and had the U.S.
24 specific population. So, if We're looking at
25 consistency, one of the issues is, of course, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 direction to we want to be consistent.

2 And with that, Dan, as an initial overview
3 and background, let's get into the discussion.

4 MR. HODGKINS: Thanks so much. Okay, let's
5 take it from the panelists first, and is there any
6 panelists who'd like to jump in with some comments?
7 And, again, please, eat your mic. Yes, go ahead. Peter
8 O'Connell. Remember to say your name first so that the
9 transcriber can get you.

10 MR. O'CONNELL: Peter O'Connell, DOE.
11 Regarding the deep dose equivalent being the, using it
12 the same as the effective dose equivalent, I think DOE
13 managed to dodge that bullet because it's been DOE's
14 policy for at least ten years, even when we were under
15 the ICRP twenty six and thirty methodology that we
16 always allow the--we didn't always require the highest
17 dosimetry reading, we always allowed our contractors
18 to follow the ANSI standard and do the
19 compartmentalization process.

20 Regarding the changes to that, back when
21 we put out our notice of proposed rulemaking in 2006,
22 we got some comments saying why didn't you wait for
23 103 or whatnot. And we didn't want to wait seven,
24 eight years, but we had Keith ran some sample
25 calculations for us comparing the 103 model with the,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what We're using is the ICRP sixty eight, those
2 coefficients, and he gave us the tabulation and we
3 compared it and we found that the difference was, was
4 very very minor. And in fact, we published a paper in,
5 I think it was in the 2006 2007 time frame in
6 radiation protection dosimetry kind of outlying what
7 the differences are and the magnitude.

8 MR. HODGKINS: Other comments? Michael.

9 MR. BOYD: This is Mike Boyd from EPA. I
10 just wanted to make a couple of clarifications to what
11 Don said about what We're doing. And We're very
12 predecisional too, this, nothing's been decided about
13 any of this. But we, I want to make a clear
14 distinction between our risk coefficients and our dose
15 coefficients.

16 The risk coefficients are not tied to the
17 ICRP methodology. So, we are looking at, at the
18 scientific literature for evidence of higher relative
19 biological effectiveness for low energy EBTA emitters
20 and photons, soft x-rays, and things like tritium.

21 This could be incorporated, I say could,
22 into some future risk coefficient updates, the updates
23 to our current Federal guidance report thirteen, which
24 are cancer risk coefficients.

25 As far as the dose coefficients, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 internal are now in Federal guidance eleven, and the
2 external were in Federal guidance twelve. The
3 principal difference between our coefficients and the
4 ICRP's, I believe, are primarily related to the Monte
5 Carlo methods used.

6 And, there are differences, of course, in
7 the average size of the U.S. population versus maybe
8 the standard population that the ICRP has used. So if
9 we go to revising our dose coefficients, I think, we
10 also are not--we don't think we have the time
11 necessarily to wait for a full suite of voxel phantoms
12 for the U.S.

13 Keith Eckerman at Oak Ridge National Lab
14 has a mathematical Monte Carlo phantoms that work
15 quite well for the U.S. population. So, I think the,
16 the DCFs, if they're changed, will only vary quite
17 subtly for the ICRPs and mostly related to the Monte
18 Carlo calculations based on the size of the U.S.
19 population, and not--another way of saying that is
20 We're not going to tamper with the ICRP definition of
21 effective dose. We will use the W-sub-T's and W-sub-
22 R's that ICRP uses in defining effective dose.

23 MR. HODGKINS: Thank you. Panelists,
24 comments. Yes?

25 MR. BUNDY: Kevin Bundy, Canadian Nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Safety Commission. I just offer some comments. Prior
2 to our regulations, regulations in 2000, we did not
3 have effective dose, or, that concept at all. When we
4 did introduce it, I don't recall any issues as far as
5 record keeping and that.

6 There are, our licensees do have I guess
7 operation terms or operational units and reporting
8 units. Some are, are, use rems, others use
9 millisieverts. They, when they are reported to our
10 National dose registry, which is our official record
11 of, our, for our dose, doses, occupational doses, they
12 are recorded in, in, as effective dose and they're
13 converted either at the licensee stage or by the
14 National dose registry themselves.

15 We have incorporated the weighting
16 factors, the ICRP 60 weighting factors, and both for
17 the tissue weighting factors and the radiation
18 weighting factors in our regulations. Of course, they
19 are slightly out of date now with the one with three
20 recommendations I guess they'll be changed eventually.

21 We too event an issue with the RVE of
22 tritium for example. We too are going through that
23 discussion at this time and don't know whether to
24 keep, to, to have a special RVE for tritium or keep it
25 at the weighting factor for practical radiation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protection purposes. Thanks.

2 MR. HODGKINS: Thank you. Any other
3 comments? Yes, Willie.

4 MR. HARRIS: Willie Harris. Just a couple
5 comments relative to the change and, and just one
6 factor and science notwithstanding, you know, when you
7 consider the difference between the, the terminology,
8 you know, from the end user perspective, you know, we
9 need to keep in mind the RP technicians and the
10 individuals who We're going to be explaining it to are
11 probably is, you know, the end result going to be
12 irrelevant to them.

13 You know, TED versus TEDE probably is, you
14 know, not a significant change, so from that
15 perspective when you consider the training costs
16 associated with it and understanding that, you know,
17 I'm not sure, you know, if there's any real
18 significance there to, to make the change.

19 The science aspects of it, I mean, most of
20 the, the end users and those folks probably will not
21 be specifically concerned with it. But my comment is,
22 is listening to the folks out there, if there's no
23 significant difference in the values and, and we'll
24 wait until the results come out.

25 And my biggest concern with that is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cost associated with minor changes to, you know, the
2 computer programs and algorithms that We're going to
3 use to generate, you know, the end resulting for the
4 dose and you're just making sure that the costs is
5 worth those changes.

6 You know, certainly, you know, all of us
7 in here from a health physics perspective, you know,
8 want the doses as accurate as possible. But, but
9 again, you know, the cost benefit, we just want to
10 make sure we consider that.

11 I think, Don, you addressed that somewhat
12 under records section, but I think it's even broader
13 than that just from the training and costs associated
14 with computer programs and those types of algorithms
15 necessary to make those changes. Thank you.

16 MR. HODGKINS: Thank you. Some other
17 comments from our panelists? Yes.

18 MR. O'CONNELL: Pete O'Connell again, DOE.
19 In recognition of the significant paperwork and
20 whatnot in evaluation for the different models and
21 whatnot, DOE changed the regulation in June 2007 but
22 we gave our contractors three years to implement all
23 the changes.

24 It took our Office about a year and a half
25 to update, we have a series of guides, technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 standards and handbooks so it took our Office about a
2 year and a half to revise all those documents.

3 In the process, we, we, we got to write
4 three publications out of it, but we also require our
5 contractors to do a tri-annual audit where all the
6 functional areas of the radiation protection program
7 are covered, so our guidance was, during the next
8 three years, while you're doing your audit, that would
9 be an opportune time to make the changes to those
10 aspects of the program. And it, it seemed to work
11 pretty well.

12 MR. HODGKINS: Thank you. Anything else
13 from our panelists? Could you raise--yes? Name first.

14 MR. GIANUTSOS: Phil Gianutsos. Just
15 looking at certainly issue 1.1, adopting the, the
16 terminology and methodology is reasonable, but there
17 are some, some subtle differences that I think have to
18 be carefully examined. And as an example, I'd look at
19 the, the recommendations for skin dose, where
20 currently, we average over ten square centimeters that
21 receive the maximum, ICRP recommends one.

22 That would have substantial impact for
23 example on our facilities where we deal with discrete
24 fragments and some of the beta emitters, so there's
25 probably some other subtleties there of a similar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nature that need to be examined before wholesale
2 adoption for the methodology.

3 MR. HODGKINS: Thank you. Robert, did you
4 want to add something?

5 DR. ATCHER: Robert Atcher, Society of
6 Nuclear Medicine. One of the things, and it turns out
7 it's a personal science issue for me. I have been
8 looking at using alpha emitters for radiation therapy
9 for twenty years or more. And we rarely ever see a
10 weighting factor of twenty in the studies that we do.

11 And it's now being tested clinically at a
12 number of sites using relatively short lived alpha
13 emitters. And so there's a potential here for us to
14 incorporate some better data than was, has been used
15 historically for a weighting factor for the alpha
16 emitters.

17 In particular, based on both the clinical
18 studies that we've been doing as well as some of the
19 preclinical studies that have been done, where we have
20 a little bit better dosimetry data than perhaps was
21 true when some of the original weighting factors were
22 done.

23 MR. HODGKINS: Yes?

24 MS. THISTLETHWAITE: Thank you. Duann
25 Thistlethwaite. This is just a question on, if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tissue weighting factors are accepted as being
2 changed, then how would that be coordinated with all
3 the radiopharmaceuticals that are out there and their
4 labeling, to be mislabeled from the FDA standpoint,
5 because they would be all calculated incorrectly.

6 MR. HODGKINS: Anybody want to field that
7 question? Okay. And actually We're not looking for,
8 you know, solutions, We're looking for issues. So I
9 think we can restate that to say that that's an issue.

10 Okay. And We're just warming up here, so
11 good point. Anybody else from the panel, then, want to
12 add any further discussion? Any further questions?

13 So, let's try and as far as the audience,
14 if you would move towards a microphone in order to be
15 heard, and then in the meantime, can we take a caller
16 in from the webinar? Is there a caller there? As far
17 as a response. No?

18 PARTICIPANT: This is just a--this is Dave
19 Allen. Just a technical, for anybody that's on the
20 telephone, would they please go on mute, We're having
21 a lot of difficulty and a lot of noise.

22 MR. HODGKINS: Okay. It sounds like there
23 aren't any questions from the audience right here.
24 Microphone please. Thank you so much. And start with
25 your name. Wait a second, I think your microphone is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 off. Hold on a minute, it's just in the back, right
2 here. Good?

3 PARTICIPANT: I'm Carl Paperiello, speaking
4 for myself. I think it's important that whatever
5 happens, there be consistency among all Federal
6 agencies. There can't be an EPA dose and an NRC dose
7 and a DOE dose and right now that is the situation.

8 Also has to be consistency within the NRC
9 regulations, dose, for different rules based on the
10 same models. I would note that is more important to
11 have consistency within the United States than with
12 the international, and I would believe that part
13 seventy one is probably already tied to whatever
14 international models are being used, because that's a
15 treaty obligation. Thank you.

16 MR. HODGKINS: Thank you so much for your
17 comments. Anybody else from the audience, then? As far
18 as a comment? Please, microphone.

19 DR. RABOVSKY: Joel Rabovsky, Department of
20 Energy. I had a couple of questions. One, when talking
21 about the dose conversion factors, also I think an
22 issue would be what the default size of the particles
23 will be.

24 We in the Department of Energy adopted the
25 default size of five for, five microns, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occupational use. However, for I think environmental
2 use, and I think, calculations or dose conversion
3 factors develop EPA who use default to one micron.

4 So I think that's an issue that would have
5 to be addressed. Another issue is just the mic, I just
6 had a question. When you said the size of the
7 population, did you mean the number of people in the
8 U.S., or the actual physical size of the U.S. people?

9 MR. BOYD: I actually was referring to the
10 physical size, the organ sizes and the distribution. I
11 mean, if you do a Monte Carlo for a typical Asian
12 population versus the typical U.S. population, it
13 would be somewhat different.

14 MR. HODGKINS: Okay. Thanks for the
15 clarification. Thanks for the question. Is there
16 another question?

17 DR. RABOVSKY: Well, one more point. I
18 think one issue that came up when we address the
19 conversion, is the issue of operational values versus
20 protection values. All the values that ICRP 103, ICRP
21 60 are protection values. They're not measurable.

22 And the measurements really are handled, I
23 guess, through ICRU. For example, when we talk about
24 changes in tissue weighting factors, that's an ICRP
25 quantity. But the actually measurement is still based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on quality factors versus the ICRU.

2 And, what we noticed was, particularly for
3 neutrons, the operational values began to diverge more
4 from the protection values. Now, ICRP addressed this
5 in ICRP 74, when they did exhaustive calculations to
6 show largely that when they went to ICRP 60, the
7 protection or the operational values were generally
8 conservative.

9 Not in every case. Some extreme cases, but
10 largely conservative. So I just make the statement
11 that because measurement is such an important part of
12 complying with the new regulations, this would seem to
13 be an issue that, that should be looked at.

14 MR. HODGKINS: Thank you so much for your
15 comment. Okay, anybody else from the audience would
16 like to make a comment? Up to the mic. If we can take
17 a opportunity as far as webinar participants, then,
18 are there any webinar participants?

19 I hear that there is one. Can we hear from
20 the webinar participant? Comment. No? Okay. So far, no
21 questions from the webinar. Let's open it up to
22 panelists, audience, webinar participants, then, as
23 far as this issue. Don?

24 DR. COOL: Yes. I would, now that we've
25 started with this discussion, I'd like to see if we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 could engage just a little bit more. We've had a
2 couple people touch on it, in terms of actually the
3 question of changing the terminology.

4 We had laid three options out on the
5 table. We've talked a little bit about some pros and
6 cons, some implications. What I would be very
7 interested to hear is from the different kinds of
8 licensee. We have training, we have record keeping, we
9 have reporting.

10 We have use internationally versus
11 nationally. How would you see, for your particular
12 aspects, should we go ahead and make this change,
13 swallow whatever is necessary in terms of impacts, so
14 We're all speaking the same language?

15 Should we allow the use of either
16 terminology so that people can work their way through
17 the process? I think someone mentioned, I think it was
18 Pete, mentioned the delayed implementation where
19 people have a little bit of time to work through the
20 process. That's certainly a possibility.

21 What do people actually suggest would work
22 for them and why, on this particular set of issues?

23 MR. HODGKINS: Panelists first. Go ahead,
24 Peter. You're next.

25 MR. O'CONNELL: When we first put out our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 notice of proposed rulemaking, we identified that, one
2 of the things we were considering was keeping the
3 current terminology but making the changes, and we got
4 numerous comments from the technical people basically
5 saying you don't look foolish, it's not just a
6 different name, it's an actual different physical
7 quantity.

8 And then from our legal folks, saying
9 you're calling it something but it's, you're really
10 assessing a different value and you can run into like,
11 litigation problems.

12 MR. HODGKINS: Okay. Next comment? Yes.
13 Name first.

14 DR. MAHESH: Mahesh from ACR. Personally, I
15 feel with the world being so closed it's better to go
16 towards more uniform definition, going towards the ICR
17 prepublication of this send expressing total effective
18 dose rather than continuing with the TEDE.

19 MR. HODGKINS: Okay, thank, thank you.
20 Peter, if I could come back to you, just to make sure
21 the record is clear. The DOE 835 now uses effective
22 dose, correct?

23 MR. O'CONNELL: Yes. And we have the total
24 effective dose is the summation of the effective dose
25 and the committed effective dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: And perhaps I'm going to
2 pick on somebody just for a moment, but I wanted to
3 come over to Kevin. In Canada, you're not using
4 effective dose?

5 MR. BUNDY: Yes, that's correct. But we
6 just called it effective dose, we don't call it total
7 effective dose.

8 MR. HODGKINS: Phillip?

9 MR. GIANUTSOS: I'll just add for a--Phil
10 Gianutsos--for a company like ours, where we do move
11 individuals frequently between commercially regulated
12 facilities and Department of energy facilities, the
13 need for consistency is critical.

14 You'll create a paper keeping nightmare.
15 Software is really the backbone of a lot of the record
16 keeping, and there will be issues with who's software
17 is using which model, which terminology. That, that
18 has to be considered in, in looking at a phase in
19 period. I think that will be very difficult to
20 implement.

21 MR. HODGKINS: Thank you. Yes?

22 MS. THISTLETHWAITE: Yes. Duann
23 Thistlethwaite. Actually for I think the greater thing
24 comes back to the definition itself, so that We're all
25 in the same common definition if we want to call it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the effective dose, then are we allowing the DDE as
2 well, or not.

3 I mean, that's the question to answer, and
4 if we are, then we can just call it effective dose. I
5 really don't like total effective dose because that
6 reminds me of TED, the airline. So.

7 MR. HODGKINS: Stephen, did you have a
8 comment? No? Kevin? Another comment? No? Okay. Oh,
9 yes. Michael.

10 MR. STAFFORD: Yes. Mike Stafford, ORNL.
11 Just some of our experiences this past year, you know,
12 We're about wrap up a year of implementing a dosimetry
13 program under part, or ICRP 60.

14 And our, our external dose values have
15 increased a little bit in some areas of where we have
16 some significant neutron doses, so the, I guess, the
17 outcome in terms of actual collective and individual
18 doses that We're reporting this year are, are really
19 minor.

20 But, the thing that is significant about
21 this is the tremendous impact it has on your entire
22 dosimetry system, and there's a tremendous amount of
23 administrative effort, a lot of heavy lifting that's
24 far reaching from, you know, internal external dose
25 calculations instrumentation, reporting, training.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We, We're not sure how much effort it took
2 to, to do this, but it's around two and a half person
3 years worth of effort to, to implement some of these
4 changes that had very little effect on our overall
5 dose values that We're reporting.

6 But it just brought us closer, I guess, to
7 being consistent with the international community. So,
8 so it's a, the technical aspects of this seem to be
9 way overshadowed by the administrative and logistic
10 impacts of doing something like this.

11 MR. HODGKINS: Thank you. Panelists,
12 anything else from your perspective that you'd like to
13 add to the options, those three questions? Then I'm
14 going to open it up to the audience, as far as,
15 anybody from the audience willing to make another
16 comment?

17 And, how about from the webinar folks?
18 And, let's just to clarify, maybe, if the webinar
19 folks are, you know, pretty satisfied and not
20 participating in that level, at this point, Willie,
21 can you just give me a hands up when there is a
22 questioner from the webinar that might help the
23 process along a little bit?

24 And then, Vanessa, for those who are shy
25 in the audience, because you haven't participated a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whole lot, there are cards that you can write your
2 question and then we'll just use those cards instead,
3 okay, to help you out there.

4 So, with that being said, any other
5 comments or questions? Don?

6 DR. COOL: Let's see. There we go, okay. So
7 let me pursue a slightly different question within
8 this next, then. As we have done our discussions over
9 the past year, one of the pieces of feedback that
10 we've gotten a lot of is this question of using
11 effective dose from external sources versus the deep
12 dose equivalent.

13 And much of this came from our various
14 groups in medical, and so I was interested to see what
15 some of you who are representing some of the different
16 medical areas and to pick on my friends from the
17 States just a little bit, on the implications of
18 moving to effective dose and a more consistent
19 application.

20 If I can put it that way without being
21 prejudiced one direction or other, towards using a
22 effective dose calculation rather than the deep dose
23 equivalent.

24 And just by way of background, for those
25 of you who may not be familiar, some states do not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recognize the effective dose, one of the effective
2 dose calculations. Most of the states do.

3 And so I'm looking for different groups
4 views on the impact associated with that. And I would
5 invite my colleagues from the states to talk about the
6 implications to their programs of moving the
7 terminology.

8 MR. HODGKINS: Okay. Panelists first. Any
9 comment? Yes?

10 DR. MAHESH: Mahadevappa Mahesh. I wanted
11 to resume my comment for the second, regarding the
12 effective dose calculation. But you're preempting my,
13 to ask it.

14 In the medical community especially, in
15 the intervention fluoroscopies, and I'm going to
16 repeat this comment again later. The, the utilization
17 of the straightforward badge reading for this annual
18 limited has created a lot of issues with, in the
19 medical community.

20 By going to this effective dose definition
21 and with an adaptation of the good corruption factor
22 would be a better way.

23 MR. HODGKINS: Okay. Comments from the
24 Board, from the panelists? Did I see a hand go up? No?
25 No further discussion there? Let's ask from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 audience participation part. Microphone is on.

2 PARTICIPANT: Ken Conway, Babcock and
3 Wilcox Uranium User's Group. For those who are, could
4 make a significant difference, the use of more
5 elaborate calculational methods that give a true dose
6 are entirely proper. But there large amounts of users,
7 state mandated for heavy duty x-rays, limited exposure
8 to gamma emitters where, quite frankly, there is very
9 little benefit in the calculation and it's adequately,
10 conservatively represented by the straight DDE.

11 And I don't see why there is a need for a
12 universal application of the more complicated system.
13 Each licensee or user to simply choose the one that
14 best represents their situation. We've deliberately
15 chosen not to use the calculational methods despite
16 occasionally having a situation where it would be
17 somewhat beneficial, simply because of keeping things
18 simple, and We're willing to absorb some extra
19 essentially reported dose for lack of paperwork and a
20 more complicated operations. Thank you.

21 MR. HODGKINS: Thank you for your comment.
22 Any reaction to that from the panelists? Yes.

23 MR. O'CONNELL: As far as DOE is concerned,
24 using the compartmentalization process or coming up
25 with an algorithm, that's an option. I mean, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 always have the option that has taken the highest
2 external dosemeter. But most of our sites have, have
3 taken that option, and they feel it's worth the
4 effort.

5 MR. HODGKINS: Okay. Panelists? All right,
6 back to the audience. Any reaction from the audience?
7 Don? Any other comments?

8 DR. COOL: Okay. I appreciate that bit of
9 feedback. What I think I'm hearing is that people like
10 the opportunity to use the simple approach but would
11 also like to be able to use the more detailed
12 calculation.

13 We've had one, one view, which is
14 something that we have heard before, which is that
15 there are certain kinds of uses where the difference
16 between a deep dose equivalent and an effective dose
17 calculation becomes very significant and I think what
18 I'm hearing is that you would like to maintain that
19 ability.

20 The other thing I think I'm hearing is
21 that there are a lot of administrative materials and a
22 lot of calculational issues that underlie the move to
23 effective dose and updating the calculations.

24 But that that seems to be something which
25 people would tend to favor, and I would like to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether that synopsis seems to be something that most
2 of you support before we move to the details of those
3 calculations, because that's where I want to go next.

4

5 MR. HODGKINS: Okay. Just one comment, the
6 webinar folks are saying that it's breaking up a
7 little bit, you're fading. So again, I think We're
8 going to try and turn the mics up a little bit and
9 then speak directly into them because they're fading
10 out a little bit. So, hope that helps the webinar
11 folks.

12 Any other comments on this issue, then?
13 And, with that being said, having been the practice--
14 yes? Oh, sorry--

15 MR. COX: Don, I'll address that for the
16 agreement states. Lee Cox, Organization for Agreement
17 states. As you might aware, the states are always in
18 favor of flexibility, so that would be something that
19 we would support.

20 MR. HODGKINS: I see a lot of heads
21 nodding. Kate, we haven't heard from you, but your
22 head is nodding.

23 MS. ROUGHNAN: Well, for, usually the
24 sealed sources, number one, you don't tend to have any
25 internal dose. So We're just use, using the external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 does. So there isn't too much of an impact for most of
2 the industrial users.

3 But we'd be willing, we'd like the
4 flexibility also, though, you know, do the best method
5 for your operation.

6 MR. HODGKINS: Duann, you want to add?

7 MS. THISTLETHWAITE: I would agree with
8 that, I think that Mahesh brought it forward first,
9 saying that, you know, there's situations where the
10 calculation would be beneficial to the, to the worker,
11 and would definitely represent what they're getting
12 more than just the, the badge reading from the DDE. So
13 we would agree with that.

14 MR. HODGKINS: Madesh, did you want to add,
15 since she called your name out?

16 DR. MAHESH: Just to correct my, it's been
17 spelled, my name is Mahesh. No, the name plate is
18 different. But anyway, I do agree because I want to
19 discuss this in more detail when we come to the second
20 half about the effective dose calculation and the
21 occupational dose limits because I do agree because
22 that has to some extent been unfair in some of the, in
23 our practices especially in interventional
24 fluoroscopies.

25 Where our state goes uniformly with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DDE number based on the badge reading outside the
2 apron, which we all know is not the dose what the
3 interventionalists are getting.

4 Because of that we have a lot of, a lot of
5 the time, heavy stress in monitoring our fluoroscopies
6 and some time you might even have to go to restrict
7 that utilization which has impact on the patient
8 treatment.

9 MR. HODGKINS: Okay. Yes?

10 MS. THISTLETHWAITE: I just wanted to
11 comment on something that Michael had said. Basically
12 the administrative part, I don't think it's necessary
13 to change all the terminology on the forms if it
14 becomes to burdensome because you're thinking of NRC
15 form four, form five, all of those that would have to
16 be redone and reissued. So, from a cost standpoint, I
17 don't see that it would be worth it just to change for
18 that sake.

19 MR. HODGKINS: Thank you. Yes?

20 MR. COX: Lee Cox again, Organization of
21 Agreement States. Just wanted to make a comment about
22 records, the impact on records. And you didn't really
23 ask this question, but the impact on rulemaking. Just
24 want to compliment the NRC on them being mindful from
25 1990 to 2007, not making any changes, realizing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there were going to be significant recommendation from
2 the ICRP.

3 And as we go forward, I hope that the NRC,
4 and it looks like they are, to be mindful to make
5 substantive changes, if need be, but not piecemeal
6 changes that would require a lot of resources from the
7 states, doing rulemaking, some states have to do a lot
8 of statute changes. So, that would be a major impact
9 to the states.

10 MR. HODGKINS: Thank you. Panelists? Let's
11 move it to the audience. Any reaction from the
12 audience? Yes?

13 PARTICIPANT: I'd like to second the, her
14 opinion that essentially the changes in a lot of
15 these--

16 MR. HODGKINS: Can you speak into the
17 microphone?

18 PARTICIPANT: Sorry.

19 MR. HODGKINS: That's okay.

20 PARTICIPANT: In my view, the changes in
21 these units are fairly mild. The actual numerical
22 totals. I don't believe there is a great benefit in
23 forcing the changes. The third option, of licensee
24 selection in change over time if we wish is entirely
25 appropriate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It reminds me a great deal of the
2 changeover from solubility classes and internal update
3 in DWY to FNS, article after article in the regulatory
4 publication, and the regulatory publication just makes
5 the routine comment that there are a roughly
6 equivalent and should be used as such, and that's
7 certainly true here, also. Thank you.

8 MR. HODGKINS: Thank you. Reaction?
9 Comments? Don? Yes.

10 PARTICIPANT: I'm Mark Smith, with
11 Sterigenics. And I'll speak for the global operations,
12 if you will, because we operate in a half a dozen
13 countries outside the United States.

14 As it stands, we have multiple record
15 keeping areas in the way we do things in different
16 locations. If we don't expect harmonization between
17 all nations, which I don't expect that to happen at
18 any time in my lifetime, at least having the
19 flexibility to, where, if I can adopt the system that
20 I use in Belgium and use it the same in the United
21 States without having to maintain two systems, makes
22 my life a little bit simpler. So the flexibility
23 option is, would be the one that I would support.

24 MR. HODGKINS: Thank you. Panel reaction?
25 Audience? Yes? Michael.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BOYD: This is not exactly a reaction
2 but just, just to make a comment about operational
3 quantities versus more individual specific
4 calculations. And, certainly, effective dose is meant
5 to reflect a dose of record to a, you know, to an
6 individual versus the kind of science that we, that I
7 was talking about earlier, where we can actually look
8 at age, gender, and organ specific absorb doses.

9 But, that doesn't mean that when we do
10 that science, that We're proposing changes to the ICRP
11 definition of effective dose, which is, as I see it,
12 an operational quantity for a referenced individual.

13 MR. HODGKINS: Can I just ask a clarifying
14 question to our audience member in that exchange that
15 we just had? I think that making life easier, is sort
16 of a comment, but I guess, why would it make your life
17 easier is maybe a follow up question to that?

18 Or is, as you pointed out, there are
19 scientific impact to that, and I guess as a
20 facilitator, would you want to talk to the scientific
21 impact of that a little, bit, as opposed to making
22 your life just easier?

23 PARTICIPANT: Well, as, as we had the
24 discussions along, along the lines here is from an
25 operational perspective which is where commercial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business, for profit organizations, and we care about
2 the operational side of it.

3 From an operational perspective, there's
4 not been anything that I see that makes a big
5 difference in terms of numbers, in terms of impact,
6 other than the model that we use that, the records
7 that we keep.

8 And for operation numbers on here, I'm
9 seeing if we can follow one model everywhere, that
10 gives us a number that's valuable to us and is
11 appropriate to what We're trying to do with it, than
12 we are scientifically based well enough with that
13 operational number that we can carry through with it
14 without having to have difference in size versus the
15 U.S. population versus China or whatever We're trying
16 to do with it.

17 Again, it's just one of the, for global
18 operations, its much easier if we can apply the same
19 thing everywhere, and it's a lot easier to explain
20 that than my having to do six different training
21 courses in six different nations to explain how we
22 calculate, calculate the effective dose.

23 MR. HODGKINS: Excellent. Thank you so
24 much. Anybody else, then, as far as listening to that
25 and the difference--yes, Ralph?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ANDERSEN: Ralph Andersen with NEI.
2 Somewhat in the anticipation of our discussion on
3 Wednesday, but broader than that, I would just
4 recognize that within the same discussion, you have
5 the much larger issue of the regulations that are
6 still based on ICRP publication two, and, and I don't
7 see anywhere on the agenda where you're really going
8 to look at that broader issue.

9 Except for the very limited context of 10
10 CFR 835 Appendix I. This also effects many other
11 regulations, particularly that regard public dose. So
12 I would just comment that some of these issues play
13 out much larger where there are in fact significant
14 differences in calculating things using ICRP 2 versus
15 ICRP 60 or ICRP 103.

16 MR. HODGKINS: Okay. Audience members? Don,
17 did you want to--

18 DR. COOL: So, let's pick up on that just a
19 little bit, because I think Ralph makes a good point,
20 that we should probably touch on and make sure we all,
21 all understand. Ralph is correct, there are portions
22 of the NRC regulations that go all the way back to
23 1960 and use whole body dose and organ dose.

24 And then there is the current part twenty
25 that uses total effective dose equivalent. And then in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fact there is the situation with a number of
2 individual licensees, and I think B&W is probably one
3 of those, some of the others, who by Amendment, have
4 moved to the ICRP 60 methodology and calculation and
5 are actually calculating an effective dose, at least
6 on the internal portion of it.

7 Because of some of the changes in the dose
8 coefficients that came about in 1990. The Commission
9 clearly recognizes that there are some of these
10 differences and I think an underlying theme that at
11 least some of us might individually wish to be the
12 case would be to update and realign that terminology
13 and calculation approach so that we didn't have
14 multiple different systems that we were having to deal
15 with.

16 So, part of the questions here, and it's
17 a, it's a, at least two part question, is using the
18 terminology and updating the science, which would take
19 all of the different uses and move it all to a
20 consistent basis across the licensee types.

21 Now, to get to Ralph's question in
22 particular, there are some portions of the regulations
23 which are still very old, which are not currently
24 under active discussion. That's true.

25 The staff, when we went to the Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in 2008, said we know that they are out there, but we
2 can't eat everything at once. You can't eat a whole
3 elephant in one bite. So, in fact, the staff's
4 recommendation was we explore this issue with you
5 related to part twenty, and the part fifty Appendix I,
6 because there were particular issues associated with
7 the reactor's demonstration of compliance.

8 But I would come back and ask you all
9 again, putting on your hat for a moment and other
10 regulations that you might have to deal with, because
11 if a policy decision were made to move to the updated
12 methodology and updated dose coefficients.

13 I think it would be reasonable to say that
14 the Commission would then expect that the staff would
15 be looking to try and move to a consistent underlying
16 regulatory base in other portions of the regulation
17 over some period of time.

18 The Commission has in fact already asked
19 the staff to look at these issues related to waste
20 disposal.

21 MR. HODGKINS: Thank you. Okay. Reaction
22 from panelists? Ralph?

23 MR. ANDERSEN: Yes, Ralph Anderson, NEI.
24 Just to follow up on, on Don's comment. That was one
25 of the things I had in mind is, actually the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 paper on updating 10 CFR part 61 for low-level waste
2 disposal, which uses ICRP 2 as it's methodology and is
3 primarily implemented by agreement states, because NRC
4 doesn't actually license low-level waste facilities.

5 That paper goes up this December. Your
6 paper goes up almost a year later. So that's on a
7 separate track, so there is a left hand, right hand
8 problem. Additionally, I just mentioned, as a
9 footnote, that in fact, 10 CFR 20 does use ICRP 2. It
10 requires conformance with the EPA fuel cycle
11 standards, in I believe it's section 1302 of 10 CFR
12 20, maybe it's 1301, which in fact is also based on
13 ICRP 2.

14 So, again, my comment is, you can't get
15 away from it by just simply looking at the one other
16 regulation. But I hope, I hope that we'll look for the
17 right time in the program to take on that issue
18 separately and individually because I think it's the
19 larger case of the differences between ICRP 60 and
20 ICRP 103 and ICRP 26.

21 MR. HODGKINS: So perhaps we should put
22 that in the parking lot for a little bit later
23 discussion and help us keep in mind. Mike?

24 MR. BOYD: Right. It's probably an
25 opportune time to say that, I've given a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feedback here, but opportune time to say that EPA is
2 also aware of this patchwork quilt of regulatory bases
3 for our dose, dose assessments.

4 And We're looking at our regulations
5 almost in parallel with what NRC's doing here, and
6 through the interagency steering Committee on
7 radiation standards, we have a Federal guidance
8 Subcommittee and it is our hope that if everything
9 falls into place over the next, you know, two to five
10 years, that we will have a more consistency and we'll,
11 you know, we'll try not to have these outliers.

12 But of course, regulatory and rulemaking
13 procedures are very lengthy and tedious processes, and
14 each one has it's own public involvement process. So,
15 it's not guaranteed, but it would certainly be the
16 ideal.

17 MR. HODGKINS: We have a comment from the
18 audience, and then we'll take one from the panel.

19 PARTICIPANT: Lynne Fairbent, American
20 Association of Physicists in Medicine. I can not
21 stress strongly enough that this change cannot be an
22 NRC effort alone. We have too many other Federal
23 regulatory agencies that have dose requirements, one
24 that is not even been brought up at this table or in
25 this room today, and I don't believe is present, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 OSHA.

2 The implications that we move forward
3 whether it's with solely changing NRC regulations and
4 then subsequently requiring the agreement states to
5 follow suit for radioactive materials, is not
6 acceptable.

7 It does need to be a U.S. policy decision
8 that we move, and we move across the Board, whether
9 it, the source of radiation is radioactive materials
10 or machines that produce radiation.

11 MR. HODGKINS: Thanks so much for your
12 comment. Do the panelists want to add to that? Please.

13 MS. BEEGLE: Cheryl Beegle, as to--excuse
14 me--as to medical imaging. I just think in general,
15 you have to look at the terminology being inclusive
16 enough with the move towards exposures of not only
17 occupational workers, but individuals who are
18 undergoing examinations that as we move to electronic
19 medical records and are trying to have in those
20 records information about exposure factors, that if
21 We're not all talking in the same terminology, that
22 information is meaningless.

23 And yet that is a big push in the medical
24 community, to be able to provide an individual with
25 their lifetime exposures, patient individuals, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 necessarily occupational workers.

2 MR. HODGKINS: Thank you.

3 DR. COOL: If we can explore that just a
4 bit more, just for a moment. Because one of the
5 questions I think, and this ties into the operational
6 units versus the record units for regulatory
7 compliance.

8 And here I'm seeking to understand a
9 little bit more, what kind of dose information you're
10 actually pulling in, because effective dose, as ICRP
11 states it, is a prospective protection quantity and it
12 has built into it all these sort of standard
13 assumptions.

14 So it really doesn't actually reflect me
15 or you or someone else. So I was curious, what doses
16 you were actually thinking about incorporating into
17 those records, because I would have guessed it would
18 not have been the effective dose.

19 DR. MAHESH: Following with the same
20 discussion Cheryl mentioned, that's the big question
21 we have in American community right now, what dose
22 information to report. As probably most of you know,
23 excluding the CT community, the state of California
24 passed a regulation now for reporting dose reports.

25 And I had just a policy for future to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provide dose information for the patients, and in the
2 medical community we are still in confusion, at least
3 in the discussion, which dose descriptors to go, and
4 one of the dose descriptor pushed forward is the
5 effective dose for the patient.

6 There is a lot of room for discussion for
7 that one, but right now that seem to be the most
8 common dose parameter, but again, there's lot of
9 discussion. But that's where the constant, coming into
10 how we define these things.

11 Because apparently the medical community
12 is going towards having some sort of patient ghost
13 descriptor in their records, and it's going to go one
14 way or the other and already one of the state has
15 already passed a regulation that CT doses have to be
16 reported to the patient.

17 Currently they have discussed only for two
18 descriptors, but moving towards more commonality will
19 be the effective dose. We don't know yet. So that's
20 the discussion going on.

21 MR. HODGKINS: Further discussion? Ralph.

22 MR. ANDERSEN: Ralph Andersen, Nuclear
23 Energy Institute. Yes, I'd like to really build on it
24 and reinforce that the previous two commenters made. I
25 would direct you to the NRC website, which has got a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nice section on radiation protection that lays out the
2 average exposure.

3 Remember, the public in the United States.
4 It's interesting, when I look at it, because the, the
5 graphic includes exposure from medical practices. It
6 includes exposure from natural radiation background.

7 It includes constructs like occupational
8 exposure, and it includes exposure from nuclear
9 facilities. And I would comment that in fact that
10 graph itself attempts to compare and integrate doses
11 from four different methodologies.

12 So, you know, I, I just comment that this,
13 a major consideration I think in your development of
14 a, of a paper for the Commission needs to take into
15 account this, this issue of communication across a lot
16 of different areas and clarity.

17 Otherwise, you're going to lose public
18 confidence. I can't stress that enough, and I've not
19 seen that clearly identified as an issue going
20 forward. And that's independent of the patchwork,
21 excuse me, of Federal regulations.

22 MR. HODGKINS: Thank you.

23 DR. COOL: And, and your recommendation for
24 that Unit would be?

25 MR. ANDERSEN: I thought we weren't solving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 problems today.

2 DR. COOL: I'm looking for a view.

3 MR. ANDERSEN: Well, my simple view is that
4 the Federal Government ought to be using the most
5 updated science and terminology, but I would say that
6 I fully support the comments that have been there for
7 flexibility at the level of states implementing, and
8 of licensees implementing.

9 And, we've, we've done that often, in a
10 lot of different ways. We can use alternatives. Your
11 fundamental concern is, are we protecting public
12 health and safety at the levels you've defined. So, as
13 long as we get there in a way that satisfies that
14 requirement, I think that's proper.

15 But as far as what you're front line
16 interpretations and statements and definitions of the
17 science and the methodology, I think you ought to be
18 on the most current page at all times.

19 MR. HODGKINS: Cheryl?

20 MS. BEEGLE: As an imaging professional, I
21 think it's important from the patient perspective as
22 well as the worker's perspective we have many workers
23 who don't understand occupational exposures, be they
24 nurses in an ICU versus even x-RAY technologists who
25 may not appreciate what a PET pharmaceutical gives in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 terms of occupational exposure to them when using it.

2 But daily, we have patients who ask us
3 what was my exposure during my PET CT scan. And every
4 vendor out there calculates the CT exposure index
5 differently. And thereby, if you can get an
6 approximately for your iPhone to calculate your
7 radiation exposure, I think we all need to be on the
8 same page there.

9 Because, in my work at the NIH we have
10 patients who come from all over the world as, the same
11 at Hopkins, in various institutions around the
12 country. And so to say We're only going to pay
13 attention to how it's done in the U.S. is, you know,
14 sort of narrow.

15 And to say that We're going to give too
16 much flexibility when people do routinely go between
17 states to seek treatment, I don't know how much
18 different we can have one state be from another state,
19 either.

20 MR. COX: I wanna--Lee Cox, organization of
21 Agreement states. I just want to piggyback on what
22 Lynne said. If you poll all of the agreement states on
23 this issue, as, as we have done, the major concern is
24 dual regulation. And, and one of the things is,
25 overlap and agency jurisdiction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 An example would be in a non-agreement
2 state hospital where you have the NRC having
3 jurisdiction over the nuclear medicine Department, and
4 then either OSHA as Lynne pointed out, or the
5 agreement state or the state agency having
6 jurisdiction over the x-RAY Department.

7 How do you solve that when you've got,
8 you're using different terminology in the same
9 facility with different departments under different
10 jurisdictions?

11 MR. HODGKINS: Thank you, Lee.

12 DR. COOL: Thank you. I think maybe now I a
13 good moment to note that in the process of trying to
14 convene this group today, we had invited OSHA to
15 participate and in fact until Friday of last week I
16 thought we had our OSHA participant at the table.

17 Unfortunately, she is not able to be with
18 us, but they are aware of the discussions. They are as
19 I think Mike Boyd noted a little bit ago, a member of
20 the interagency steering Committee on radiation
21 standards Federal guidance group, and quite interested
22 in the discussion.

23 Some of you may recall that they actually
24 had a notice asking for input a couple of years ago on
25 whether they should update the methodology and there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was a lot of comment received. We've been talking some
2 with them about what they got.

3 And talking Friday afternoon with her,
4 what she noted was with the change of Administration,
5 that rulemaking was put on hold. It doesn't mean it's
6 off, and they're quite interested in the discussion,
7 so my understanding of that is that there is a
8 recognition of this issue of needing to update.

9 I, of course, cannot promise what OSHA's
10 regulatory calendar and resources will look like, but
11 what I can say is that myself and Mike, working
12 through the interagency steering Committee would be
13 looking to try and see what could be done to move all
14 of the agencies together.

15 But this is very good feedback on part of
16 that process.

17 MR. HODGKINS: Other items, and is there
18 anything else related to the numeric values or have we
19 exhausted this? Mike?

20 MR. BOYD: The difference would be trivial,
21 I agree, but I just wanted to get into the public
22 record that if we do the new science we would be
23 incorporating the new ICRP 107 decay date, at which,
24 for a few radionuclides, might make a significant
25 impact, but overall not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Was there a--yes, in the
2 back of the room? Mic should be on.

3 PARTICIPANT: Hi, I'm Frank Congel,
4 representing Argonne National Lab and I'm very much
5 enjoying this dialogue. I was one of the guys who's
6 been around for a long time, and instituted some
7 things that ICRP one. You might not know, I'm 120
8 years old.

9 But, what I have is a basis for
10 recommendations here as result of scars, of trying to
11 explain to the general public over the years all this
12 patchwork. And here's an opportunity to do something,
13 and I just have a couple of suggestions.

14 One of them is, recognizing We're not
15 going to get perfect science out of regulation.
16 Recognize that if regulation is going to have to
17 represent compromise, represent, in regulation,
18 opportunities to do the best science for the wide
19 range of licensees over which they have, over which
20 the NRC has authorities.

21 It's easy to say, but not very easy to do,
22 and each one of us, from what I've seen, including
23 myself, wants to do the best technical job forward.
24 You can't do that in a regulation.

25 Like you talked about, you've got one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the papers up to 2020, 2020, before auditing ICRP 103,
2 those factors become available. Should think of having
3 a separate reference for these, a best practices kind
4 of a statement.

5 And something that would perhaps, at
6 roundtables like this, discuss what is the best for
7 each one of the technologies, put it in a regulatory
8 form, but allow the groups to do the best job they
9 can, not get into a box of, this is the right dose,
10 but it's not consistent with the regulation, therefore
11 I have to cite something.

12 I don't want to ramble on, but I'm just
13 listening to this it really is the same discussion
14 that resulted in ten, eleven years worth of
15 interactions to get the, the part twenty that was
16 finally adopted in 1994. I had a Pinocchio nose all
17 the way through the eighties, telling people that, six
18 month we'll have part twenty. Date it. Well, I don't
19 know how many times I said six months, but it was
20 probably like six seven years.

21 Why did it happen? Because of the very
22 issues around here. When the ICRP 60 came out, we were
23 that close to implementing the new part twenty. They
24 said, you ought to change that. Well, in the text that
25 I read, it said we didn't change it because We're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 already past the comment period on the, the version
2 that was out there.

3 There was more to it than that. The
4 reality was that there wasn't a significant enough
5 change at sixty to justify reopening it. And that
6 underlies some of the discussion I hear around here,
7 significance.

8 A discussion we have at a technical
9 meeting is one thing. A discussion for regulations is
10 something else. Significance has to underlie it all.
11 Otherwise, you have to make the regulation a living
12 document, which is extraordinary difficult.

13 Anyway, I, I'm rambling on some, but I
14 really think regulation's got to represent a bigger
15 overview. It has to represent some kind of a
16 compromise while recognizing that the science is
17 advancing. It's advancing on a daily basis. Somehow
18 you got to meld the two.

19 MR. HODGKINS: Thank you so much. And just
20 as a facilitator's note, this is not the last
21 opportunity you get to talk, so feel free at any
22 point, you know, there's going to be more discussions.

23 But, you know, you don't have to get
24 everything in right now, one time, in front of the
25 mic, that there'll be further discussion as we go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through, and reminders maybe of previous discussions
2 would be, you know, appropriate as well.

3 Okay. Anybody else want to comment on the
4 last items? Yes, Peter?

5 MR. O'CONNELL: Peter O'Connell, DOE. The
6 last couple of comments, I've heard a couple of terms,
7 people saying that they thought the resulting values
8 were going to be relatively insignificant. DOE, we
9 agree for external exposures, we found that the
10 differences were very insignificant.

11 For our collective dose, we found then to
12 be relatively insignificant. But in the DOE
13 environment, when we have an, unlike NRC licensees,
14 when we have a significant exposure situation, it
15 inevitably is an internal intake or uptake, and it's
16 typically a transuranic.

17 And we found the differences were a factor
18 four to ten different, and we, we consider those to be
19 fairly significant changes on a individual basis.

20 MR. HODGKINS: Thank you. Further comment?
21 From the audience? Anybody from the webinar? Just one
22 last time before we--yes, I think there--is there one
23 comment from the webinar? Take it away, webinar
24 people. We're listening.

25 PARTICIPANT: Can we just disconnect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 everybody off this webinar and dial back in?

2 MR. HODGKINS: Not working. Sorry folks,
3 we'll try and--We're going to be taking a break here.
4 We have a ten minute break. In that ten minute break,
5 we'll try and work on some of these technical
6 difficulties, and then go to the second issue, all
7 right? So, what time you got on your watch? It is
8 10:25. Take ten minutes. Break will start back in the
9 room at that time. Thank you so much, and coffee is in
10 the back of the room, water, refreshments.

11 (Whereupon, the above entitled matter
12 under investigation went off the record at 10:25 a.m.
13 and returned at 10:41 a.m.)

14 MR. HODGKINS: Okay. We're going to get
15 started again. We're going to take on the next issue
16 of occupational dose limits. Kim, who is actually help
17 managing the webinar and some of the logistics in the
18 room, who was supposed to be doing this particular
19 portion is going to turn it back over to don to take
20 over as far as the occupational dose limits.

21 Now, as far as the last one is a good
22 exercise on how we want to run this seminar, and so
23 I'll ask you to keep, let's try and keep that going. A
24 little few, fewer spaces because you're comfortable
25 with each other, and where you were shy in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 beginning, you're feeling a little bit better.

2 Kate, no problem calling on you like I did
3 because I hear you're--all right, so if your head
4 starts nodding guys, and folks, I'm going to start
5 calling on you, okay, because that means something is
6 going on there.

7 Same thing with side conversations. Those
8 are probably the best conversations. Most interesting,
9 anyhow. Regardless what the topic is. So I will be
10 calling on you if there is some issue, so that we
11 really can get everybody's input on that. Okay? Those
12 are the ground rules. Thanks so much, and I'll turn it
13 back over to Don.

14 DR. COOL: Okay. So, we've had a good
15 discussion on some of the underlying technical things
16 that go into calculating doses and how we would report
17 doses. Where we want to move now is the first of
18 several issues related to the fundamental radiation
19 protection principles.

20 This is the one that has over the course
21 of the discussion, seemed to energize people a lot,
22 maybe almost to the point of saying this is the 800 lb
23 gorilla in the middle of the room. The question of
24 whether or not there should be changes to the
25 occupational dose limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, current NRC regulation as I'm sure all
2 of you are aware, five rem, fifty millisieverts per
3 year, based on the recommendations available in 1977.
4 Based on a radiation risk relationship of one time
5 ten to the minus four cancer fatality per rem.

6 Now, let me stop right there for a moment.
7 I may get out of sequence a moment on my slides, but
8 to note that most of you look at that number and go,
9 Don, you had a typo. Because most of you are used to
10 talking about a radiation risk per rem relationship of
11 five times ten to the minus four, which is what
12 everyone has used since about 1990.

13 Because in fact, over time, our knowledge
14 of the science has changed and our understanding of
15 what the risk of a Unit of radiation exposure was
16 changed. Now, that has not changed in a lot time, but
17 I think perhaps we have forgotten the fact that the
18 relationship which underlies the current regulation is
19 different from that which we are all normally using
20 today.

21 So, I just point that out to you as we
22 continue the discussions. One of the other things that
23 is important that most people, I don't think, have
24 probably ever bumped into, is that there is a
25 provision called planned special exposure which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually allows a licensee to apply, they have to do
2 it ahead of time, for a specific permission to use an
3 additional five rem for a particular unique
4 circumstance.

5 Now until a few weeks ago, I had never
6 heard of anyone who had actually used that provision.
7 But I actually talked with someone down in Texas a
8 couple weeks ago who actually used that provision in a
9 series of source recoveries.

10 So, I have to stand amended from what I
11 had been saying all along, that I don't think anyone
12 has used this. In fact, I think people have used it at
13 least once or twice. So that is out there.

14 So, the dose limit applies to the total
15 effective dose equivalent from all of the sources
16 under the licensee's control. That's particularly
17 important statement for some of our medical and other
18 types of licensees, because that means that
19 individuals who are occupationally exposed working in
20 NRC regulated activities, with materials, who may also
21 get exposure from the x-RAY, the fluoroscopy, the CT,
22 those other kinds of modalities which are not directly
23 under the NRC's regulatory jurisdiction.

24 All of that exposure has to be combined in
25 terms of demonstrating compliance with the limit. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there is that sort of fuzzy area where you're working
2 with both kinds of materials, both byproduct materials
3 and machine produced radiation, where you have to
4 combine the results.

5 Now, the other thing that's important and,
6 for BA, perhaps another interesting discussion, there
7 are certain kinds of licensees that are required to
8 report their occupational doses to the NRC, and it
9 becomes part of our radiation exposure database.

10 The reactors, spent fuel storage
11 installations, fuel cycle facilities, industrial
12 radiography. That data helps us understand, for those
13 kinds of licensees, where individual exposures are,
14 what the net exposures are in some of those
15 populations.

16 There's two problems with that. One is
17 that if you're a licensee in one of the agreement
18 states, the agreement state will probably have your
19 data, but that means I have thirty eight different
20 sets of data to try and mine out there to try and
21 combine together that present some interesting
22 logistical issues.

23 But maybe more important from a standpoint
24 of what We're trying to do here, which is understand
25 the impacts of possible changes, there are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 significant classes of licensees for whom we have no
2 data, because there's no requirement to report
3 occupational exposures.

4 That includes all of the medical
5 modalities. So, a part of what you're going to see me
6 asking today are, what some of the exposures are in
7 some of those communities, because we don't have the
8 data to help us understand the impacts.

9 So in addition, as you will see in the
10 questions in a little bit, not only is the question
11 what are the impacts and what's going to happen under
12 different scenarios, but should the Commission
13 consider making more uniform the requirement to report
14 the individual occupation of dosers into the database,
15 so that there's something more akin to a National
16 database that allows everyone to be able to understand
17 the impacts associated with various discussions.

18 So, what are the international
19 recommendations now? These have not change din a while
20 but they are different than what happens in the United
21 States. The ICRP recommendation, ten rem, over five
22 years, with a maximum of five in any year.

23 I'm sticking with the U.S. units here
24 rather than the international units. We can be
25 bilingual for my Canadian colleagues and otherwise.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ICRP made that change in 1990. It has been adopted
2 throughout the rest of the world.

3 I will tell you that, in fact, the United
4 States is the only country that I know of at this
5 point that still has a straight five rem dose limit.
6 Everyone else has something else. Some of them have
7 adopted the ten rem over five years, maximum of five
8 in any year.

9 Some have in fact adopted a simple two rem
10 per year, so as not to have to deal with the issue of
11 averaging. I've already talked about that slide. I got
12 ahead of myself. So, what are the options, at least
13 for the starting point of this discussion?

14 First, we could decide not to change the
15 dose limit at all. You could allow it to remain at the
16 five rem, fifty millisievert per year level. One of
17 the things we have heard from a number of people is,
18 don't change the limit. I haven't heard a lot of
19 why's, I've just heard don't change the limit.

20 One of the things to note that some people
21 have talked about, particularly within the staff,
22 well, you have an ICRP recommendation that was ten
23 over five with a maximum of five in any year. Our
24 limit is five, it corresponds to the maximum, why
25 should we bother changing, you can still say there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some alignment, okay? We'll talk about that.

2 The second is, second major option, of
3 course, is to move to alignment with the international
4 recommendations, adopt a ten rem over five years,
5 leave the maximum of five in any one year so that you
6 have an alignment. That's what many countries have.

7 We could move to a straight two rem,
8 twenty millisievert per year dose limit for the basic
9 occupational exposure. I'm sure there are some other
10 possibilities, but those are the ones that seem to
11 most directly align with the various international
12 activities that many of you have to deal with when
13 you're working in other countries.

14 So, a series of questions. What are the
15 possible impacts for assessing and retaining dose
16 histories and things if you move to a multi year
17 average?

18 Some of us have been around long enough
19 that we remember the time when part twenty's limit was
20 five n minus eighteen, where n was the individual's
21 age in years and you had to keep a dose record and a
22 different form of the accumulative dose history so you
23 knew how much dose the individual could get per year.

24 A lot of record keeping. A lot of people
25 who were really happy when that went away with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Revision of part twenty in 1991. Moving to a ten rem
2 over five years would reintroduce, at least to some
3 extent, the question of retaining some dose history,
4 so as to understand where the individual was.

5 Now, with that, of course, comes perhaps
6 the flexibility that you have which you wouldn't have
7 if it was a straight two rem per year. So there are
8 some pros and cons. So, what are the implications
9 associated with that?

10 The most obvious question, of course, what
11 is the impact if in fact the dose limit were to come
12 down, either to the average or to two straight--two
13 rem per year period value. How many individuals are
14 exceeding it now?

15 What are the impacts associated with
16 getting those individuals below the new limit? How
17 does that work in terms of taking care of your
18 operations, doing the radiography, delivering the
19 medical care. The special, the specialties in the
20 reactors who have to go from site to site.

21 Some of those sorts of things. What is the
22 information that you can bring to us to help us
23 understand what the actual distributions of doses are
24 in some of the different kinds of communities,
25 particularly in some of the medical communities and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 otherwise, where we in fact don't have the data today
2 and We're looking to try and build the record.

3 And if you can share that that with us
4 today, or if you can get back to us with information
5 that would help support our record. And the one that
6 has been raise any number of times, because we have
7 been listening. There have been a number of people
8 that said, well, you're going to impact patient care.

9 Okay, very nice statement. What we need to
10 do is to try and dig a little bit deeper into the whys
11 underneath that, what the actual implications are in
12 different kinds of facilities and reflecting back on
13 the discussion that we had in the last little while,
14 the extent to which that impact is or is not
15 mitigated, if it's a consistent use of an actual
16 calculated effective dose rather than a deep dose
17 equivalent.

18 As I will be very honest with you, in the
19 discussions over the last year, we've had a number of
20 people say it's going to be a big impact, fluoroscopy
21 and others just can't live with that. And I've had
22 other people from the same community who have said if
23 you allow me to do the effective dose calculation, it
24 won't be an impact.

25 So I, we need to explore that a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more. And then, the question that actually wasn't in
2 the Federal register, which I'd like for people to
3 discuss, is whether or not, as I mentioned a little
4 bit earlier, we should require more consistent
5 reporting of individual occupational doses into the
6 REIRS database so that we have that information, can
7 use that to understand the trends and activities.

8 And I will tell you, there are obviously
9 some pros and cons, I would like to hear some of those
10 impacts that are associated with you. Many countries,
11 as I think our Canadian colleague would reflect, have
12 National registries where all of this information is
13 reported.

14 And I think that takes us to the opening
15 of the discussion, so I'm going to move this back to
16 the options.

17 MR. HODGKINS: Thanks, Don. Just some
18 housekeeping notes. Your microphones have been moved
19 closer to you so that you can actually almost touch
20 them to your mouth. Because the webinar folks are
21 having a hard time hearing still.

22 Second thing, for the webinar
23 participants, you had been multitasking, and someone
24 had everybody listening to their phone ringing. So if
25 you will please now disengage from the webinar and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reconnect, because we haven't been able to manage
2 that, will you please do so now, and we can then
3 listen to you probably more effectively, and
4 questions.

5 Okay, so, with that being said, ground
6 rules are, we'll listen to the panelists, the
7 audience, and webinar participants once again. It may
8 be restricted for webinar participants, just to have
9 you do the write in questions. Okay?

10 All nods from on are game, any side
11 conversations. This will get interesting. Anybody from
12 the panel want to start the discussion? Michael? And
13 name, first.

14 MR. SNEE: Mike Snee, from CRCPD. Just for
15 the licensees in the room, a little bit about how the
16 rulemaking process works. Normally, NRC would pass the
17 Federal regulations, and once they become effective,
18 then agreement states have a period of time, and it's
19 normally three years, to follow up with their own
20 rulemaking in their particular state.

21 With regulations like We're discussing
22 here, the NRC always assigns what they call a
23 compatibility number or letter to each regulation.
24 These would have a very high compatibility, meaning
25 the states would have to adopt essentially the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulations, so states will have very little leeway on
2 whatever the Federal regulations are for their own
3 regulations.

4 Having said that, states have some
5 concerns that we've heard from some of our licensees,
6 particularly in the medical community, which was
7 touched on of users that use radiation generating
8 equipment that the NRC does not regulate and whether
9 they will be able to meet some of these limits without
10 impacting medical care.

11 It's been out there, Dr. Cool said, he's
12 heard it before, he's heard both sides. It's, it's
13 critical that those areas communicate their concerns
14 to the NRC now. You can't wait until your regulator,
15 which will be the state in these cases, go to do their
16 regulations, because the states have to adopt the
17 Federal regulations.

18 As regulators, we do not want to impact
19 medical care. That is very bad. We don't, we don't
20 want to be in that position, and as states, we also
21 don't want to be in a position where we have to, feel
22 we have to pass dual regulations for those of our
23 licensees or registrants, whatever the case may be,
24 who are outside of NRC regulations, so that we do not
25 impact medical care.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Michael, a clarifying point.
2 As far as participation means participation in this
3 webinar, is that correct? I mean, this is the voice
4 that you want them to have?

5 MR. SNEE: In this webinar, any public
6 meetings, writing into the NRC when they have, in the
7 Federal register, communicate when the NRC is doing
8 their rulemaking on this, because when it gets down to
9 the state level, states have very little leeway in
10 what we can do with these regulations.

11 If there's a high compatibility, which
12 this will be a very high compatibility.

13 MR. HODGKINS: And so that comment period
14 is ending in January 31st, is from what I understand.
15 So again, especially to those folks who are on the
16 webinar, we need to hear from you, writing some note,
17 especially since we've had some technical difficulty
18 with this.

19 Panel discussion, reaction, comment. Yes?

20 MS. THISTLETHWAITE: Good morning, Duann
21 Thistlethwaite. Speaking on behalf of myself and the
22 radiopharmaceutical side from the PET industry. If we
23 do not go with number one, 2A, no change, you could
24 actually shut down the PET industry.

25 I've been on the side of radiation safety,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was a radiation safety officer for PET
2 radiopharmaceutical companies and I don't see the
3 benefit of changing to two rem per year. I know that
4 it's accepted internationally, but when, not this
5 company, but my former companies were international,
6 and we would go in and work on cyclotrons, we would
7 wear our badges, but the people in the international
8 companies would not wear their badges going in to work
9 on cyclotrons.

10 So, that's how they're able to stay below
11 the levels. In that instance, you can keep that record
12 or take it off. So, actually it's very important to
13 make sure that we keep our levels at the current five
14 rem per year in order to continue in the PET industry
15 and to make sure that our workers are safe.

16 We have lower limits that are much less
17 than this, and we keep them on that track all the
18 time. With this flexibility, We're not able, we are
19 able to call in for planned special exposures if we
20 need to, so we appreciate that.

21 If we were to go lower, I'm not sure if
22 that would suffice, of the planned special exposures
23 of how to do it and especially over, I understand, the
24 one per ten years, and then averaging it out. That
25 came about right before I got into the nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry.

2 But, I don't like that part about keeping
3 the historical records from radiation safety
4 standpoint, that was very difficult over averaging so
5 many years and the graphs and the data have become too
6 cumbersome.

7 So, I would urge us to get our house in
8 order and stick with the five rem and not be concerned
9 with what they're doing in Belgium or in South America
10 and keep it at the current level.

11 MR. HODGKINS: Yes, Willie?

12 MR. HARRIS: Willie Harris, just make a,
13 make a couple comments. And I think, if you look where
14 we are right now in the power reactor section, you
15 know, and the majority of us would support two alpha,
16 and I say that with, if you look at a couple of the
17 options that are out there.

18 And, specifically in the power reactor
19 section, most of us have adopted, I know We're not to
20 dose constraints yet, so that's probably a different
21 topic in and of itself, especially when you look at
22 how the international community uses an understands
23 dose constraints.

24 But, similar to that, most of us have
25 adopted a lower Guideline for our operations anyways,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 typically around two rem per year, you know, to exceed
2 that requires a series of increased approvals, you
3 know, for example, to go above three rem per year for
4 a licensee, typically it requires like your site vice
5 President to approve that extension.

6 So, in general, we don't do that to often.
7 If you look at the data throughout the industry right
8 now, We're roughly running about eighty three
9 individuals who get about two rem per year, or,
10 greater than two rem per year.

11 You know, relative to the number of
12 workers we have, it's a small percentage, and we
13 continue to drive that number down. You know, right
14 now, you know, through our own, you know, course of
15 actions that were taken throughout the industry.

16 But the concern becomes if we set a hard
17 limit of two rem per year, you know, what probably
18 many of us are going to do is set a further reduction
19 in the, in the administrative Guideline that we use
20 down to around one rem per year.

21 Typically, because we like to have that
22 margin of safety in our plant operations. The impact
23 of that is, again, going to be on a lot of some of our
24 specialty workers, you know, and how We're going to go
25 through and, you know, actually work through those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issues as some of those, especially welders, and if we
2 could keep the doses down to meet those, that limit.

3 And I say that, because when you look at
4 some of those numbers, it increases, you know, quite
5 significantly between the one to two rem. However, but
6 in general, if you look at the overall worker dose at
7 a nuclear power plant, it's running, you know,
8 somewhere around, you know, 183 millirem per person.

9 So, from that perspective we keep it
10 significantly low. So, I guess to summarize it, when
11 you look at, you know, where we are in the power
12 reactors in general, you know, we are close to the two
13 rem per year, you know, the most of the changes, you
14 know, that would take to get that, you know, the
15 concern would be just from where we would drive our
16 own administrative Guidelines to get to a two rem per
17 year limit and the associated costs, you know, with
18 that, given that most of us are currently driving to
19 get less than two rem per year anyways.

20 But to make a regulatory limit associated
21 with, you know, the two rem, you know, the
22 implications it would take just based on where we
23 would drive our operations.

24 MR. HODGKINS: Thank you. Now, as a point
25 of clarification, because I heard two points there, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 far as that goes, is that an application or, are you
2 guys in disagreement with the level of doses? I mean,
3 is there further clarification that needs to be had
4 there, as far as that, you guys are in agreement,
5 then?

6 MS. THISTLETHWAITE: I'm sorry, I think we
7 said the same thing, I want to go with five.

8 MR. HODGKINS: Okay. Okay. As far as, then,
9 as far as your comment then, as far as closing down
10 the industry, the specifics of that?

11 MS. THISTLETHWAITE: In, in that,
12 basically, there are thousands of PET doses per day.
13 They go on in the country, and so I didn't want there
14 to be any undue burden on the PET industry to make
15 sure that you're trying to meet an administrative
16 level of two rem per year.

17 Obviously it would be hard to reach that
18 in the first couple of days or months of the year, but
19 it could be to the point where you weren't able to run
20 the cyclotrons and then you wouldn't be able to get to
21 those patients.

22 And I think we all feel that it's very
23 important to stage and restage cancer and diagnose
24 that and if we, if that option is off the table, then
25 you take away a whole modality for patients.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Maybe I was a little drastic in my
2 statement, but I'm very fervent in believing that,
3 that five should be where we stay. Because I fear
4 that, then they'll keep on going with other things,
5 and we don't want to go down that road.

6 MR. HODGKINS: And, I don't think it's the
7 drasticness of your comment, I think it's just the
8 detail we need, too, because I think that needs to go
9 on the, on the discussion.

10 MS. THISTLETHWAITE: Okay.

11 MR. HODGKINS: All right, as the
12 facilitator.

13 MS. THISTLETHWAITE: Okay. I could probably
14 give you numbers and data and things like that. I, I
15 don't deal with that in my current role in this
16 company that I'm with, but I did in my last company.

17 Unfortunately, those numbers are still
18 with that last company, but off the top of my head,
19 yes, probably 85% of the cyclotron workers would have
20 been over the two rem per year.

21 MR. HODGKINS: Thanks so much for the
22 clarification. Yes, and you want to clarify further,
23 Willie?

24 MR. HARRIS: I'm sorry, I thought you were
25 asking us a question. I don't think it's as drastic in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the power reactor that, you know, I'm not concerned
2 with, you know, if we made the limit two rem per year,
3 my gut tells me, you know, we'll figure it out. You
4 know, we'll have to.

5 But, you know, again, I just wanted to
6 make, you know, the clarifying point that, in general,
7 you know, most of us are meeting a two rem
8 administrative Guideline with a few exceptions. So,
9 you know, there really becomes more of a, you know,
10 the administrative actions with, with reducing the
11 actual hard limit down to two, and the, and the
12 potential, you know, slippery slope we may get into.
13 Just knowing how we tend to operate, because we would
14 set a one rem per year limit.

15 MR. HODGKINS: Right. Yes?

16 MR. HAYNES: Larry Haynes. I'd like to just
17 add to what Willie had said, you know, as far as the
18 ability to operate within a strict limit of two rem
19 per year is probably not as difficult for the power
20 reactor as it may be for some areas.

21 But one concern too with especially
22 workers may be that, and our concern is, we would
23 drive collective exposure up. You know, we may end up
24 with, instead of two guys that can do a special job,
25 you have to have four now because we limit the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exposure for those folks. That, that could be a
2 concern. And I think it's important to point out the
3 ALARA aspects of the programs now. We operate well
4 below the five rem a year limit, and the ALARA
5 programs have the capability to do what we have in
6 mind here from an alignment standpoint without
7 actually changing the limit and some regulatory
8 control from the ALARA standpoint may be of a--

9 MR. HODGKINS: Yes?

10 DR. MAHESH: Mahesh from, I'm speaking on
11 behalf of ACR. ACR stanchly support the patient safety
12 and also personal safety. However, there's a lack of
13 scientific data showing reduced ICRP recommended
14 levels are any safer for the U.S. citizen.

15 Having said that, ACR also goes to the
16 point telling, like, if NRC goes to the extent of
17 moving from five r to two r, it is definitely required
18 that they mandate that the most appropriate correction
19 factor for this badge reading to be adapted in the
20 state regulations.

21 Otherwise, none of the interventional
22 procedures has to be limited because the two r limit
23 and if the state allows to use the deep dose
24 equivalent number of badge reading, a lot of the
25 medical facilities will have very difficulty in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting that limitation.

2 For a, citing a personal experience in our
3 state, the state of Maryland has a five r limit, as
4 to, they take the badge reading as the whole body
5 reading. And a few years back the state of Maryland
6 had a task group to look into this NCRP report 122
7 about calculating the effective dose correctly.

8 And as part of the task group member, we
9 recommended that the state allows the correction
10 factor of at least some correction factor to evaluate
11 this interventional fluoroscopy and medical
12 professionals. However, up to this date, the state
13 has, has kept it on the books to keep it permission on
14 a case by case basis.

15 However, to my knowledge they have not
16 given any permission to anybody which has put undue
17 stress on the medical community, especially in a big
18 academic teaching hospital when we have a limited time
19 frame and the physicians come for training and if
20 their badge reading are exceeding to closer towards
21 five rem, we have to some extent, some time we have
22 everyone pull that people out of this training
23 program.

24 And that aspect of the NRC most towards,
25 are towards two rem per year, we'll be facing large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 difficulty. If at all, if they had to move to two rem
2 per year to match the international limitation, then
3 NRC has to make sure that the correct, appropriate
4 correction factors are provided and that it's mandate
5 to each of the states to utilize for evaluating this
6 medical professional.

7 Also from my colleague outside the U.S.,
8 in some of the countries, the badge, they wear the
9 badge underneath the apron, and in those instances,
10 two rem is not difficult to meet, but as here, we, as,
11 as needed, we wear the badge, we require the persons
12 to wear the badge outside the apron to evaluate the
13 radiation exposure but the noncovered part of the
14 body, that's where the difficulty comes in the
15 picture.

16 MR. HODGKINS: Thank you. I think, Kevin
17 first.

18 MR. BUNDY: Yes, Kevin Bundy. I can offer
19 some insight on to this. When we first started
20 consulting on the new regulations, on the new ICRP
21 recommendations, we did propose a twenty millisievert
22 annual dose limit.

23 We had big pushback from two sectors, the
24 uranium mine sectors, who were at that time looking at
25 mining the high grade uranium mines in northern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Saskatchewan, and they did not feel they could meet
2 that, the twenty millisievert limit.

3 And from power reactor group. As it turned
4 out, the uranium mines did not have the high exposures
5 they were experience, where they were expecting, and
6 so they were not an issue. The reactor group, our
7 operating exposures are, as mentioned earlier, very,
8 generally below two millisieverts, or, sorry, twenty,
9 two rem.

10 But, that's an operating, under operating
11 circumstances, when they go through refurbishment,
12 which we now have a number of reactors doing that, we
13 are indeed having workers exceed twenty millisievert a
14 year.

15 We have the five year averaging. We have
16 it as a five year block, so everybody's exposures work
17 up over those five years, and at the end of the five
18 years, it goes back to zero again.

19 We chose that over a rolling five years
20 form, probably, mostly because of the Administration
21 simplicity of it, of the block. As it turns out, the
22 only groups that have exceeded the five year block are
23 industrial radiographers and it's probably due, due to
24 poor administrative practices on their part more than
25 anything else.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I have a few other comments but I guess
2 I'll wait and see what the response to those are.

3 MR. HODGKINS: Okay. Michael?

4 MR. BOYD: Just taking off my EPA hat for a
5 minute to make a general comment, just wanted to point
6 out that x-rays and machine produced radiation is
7 regulated by OSHA and the states, not NRC, so
8 unfortunately, the problem with the, the
9 fluoroscopists would be not addressed by the NRC
10 regulations, as I understand it.

11 And correct me if I'm wrong, Don, but I
12 believe the NRC is in line with the NCRPs
13 recommendations for weighting badges, so that you
14 don't use the lapel badges that those of record,
15 whereas OSHA says that you must. So there's a real
16 problem that can't be addressed through this
17 rulemaking.

18 DR. COOL: In part, to try and clarify a
19 little bit more. The NRC allows a licensee to do a
20 calculation which would be multiple badge and there's
21 actually several different methodologies that are
22 recognized licensees can use. It was actually fairly
23 recently a regulatory guide that was put out that
24 updated and put all of those together in one place for
25 licensees to use.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It's not mandated that they do that
2 calculation. They can use the single badge collar, the
3 deep dose equivalent, as the most conservative
4 estimate, or they can choose to do the more
5 sophisticated calculation.

6 With respect to the degree to which this
7 impacts the fluoroscopy and the x-RAY uses, it's a bit
8 mixed. It's true that the NRC jurisdiction itself does
9 not extend to the machine produced radiations.

10 Our jurisdiction would extend to any of
11 those exposures to the extent that the individual
12 receiving the occupational dose worked with both
13 materials and machine produced radiation, because then
14 the demonstration of compliance would have to be to
15 the summation.

16 But where it trips over this, and why we
17 are trying to really engage this in discussion, is as,
18 Michael Snee just pointed out, the states do regulate
19 the machine produced radiations. Thirty eight out of
20 the fifty states are agreement states.

21 Under adequacy and compatibility, they
22 will need to look to align their occupational exposure
23 dose limits. As I understand it, look to Mike and Lee
24 to confirm this for me, the states have previously
25 indicated that they will do that alignment and apply

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it across the Board.

2 They will not have different limits in the
3 machine produced side form the byproduct materials
4 side. My understanding is that the CRCPD, as they
5 would start to prepare revised state regulations,
6 would move and place that new limit, if there was a
7 reduction in the dose limit, in the CRCPD state
8 suggested regulations.

9 Which means that it would then in fact be
10 applied to the machine produced radiations. And we
11 have a very interesting additional complication here,
12 which I think we ought to explore a little bit more,
13 both in the meeting and afterwards, about the
14 cyclotrons.

15 Because I suspect that what you're telling
16 me is there's both cyclotron dose from the machine is
17 running and there is the dose received when you go in
18 and extract the targets and other things, which would
19 be exposure to the materials, and then that would be
20 NRC regulated activities.

21 So I hope I've clarified that a little
22 bit, and I'd like us to really continue to dig into
23 those details and maybe first to look to Mike and Lee
24 to confirm what I've said about where the states would
25 be in this activity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SNEE: Mike Snee, CRCPD. You're
2 correct. States will adopt these regulations, which
3 they'll have to, and normally, when CRCPD does their
4 suggested state regulations, they also do the same as
5 the agreement states would.

6 I'd like to point out though that the
7 current suggested state regulations allows for the use
8 of dual dosimeters, one underneath and one on top of
9 lead aprons, which then a calculation is done for deep
10 dose equivalent, and I think CRCPD would probably very
11 much like to keep that flexibility in their suggested
12 state regulations and have it apply to these users, if
13 these regulations go into effect.

14 MR. COX: That, that's correct. You coined
15 it pretty, pretty accurately, that the, most states in
16 their regulations, would regulate x-RAY and
17 radioactive material with the same dose limits.

18 MR. SNEE: One, one more thing. I'm sorry.
19 Mike Snee, CRCPD. CRCPD suggested state regulations
20 are just that, they're suggestions. No state is
21 obligated to follow any of those. Although agreement
22 states are obligated to adopt Federal regulations
23 depending on the compatibility that's assigned to
24 them.

25 DR. MAHESH: I'd like to clarify that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 aspect of it, at least highlight that aspect. I
2 understand CRCPD has in their book about the suggested
3 correction factor. However, state don't do that, they
4 don't, and we have an issue now in state of Maryland.

5 They have it on the books, but they are
6 not providing any time to use the correction factor,
7 and sometime it's hard because I also sit on the
8 addition control advisory Board for my state of
9 Maryland. It's very difficult to convey at least bring
10 them and we are, we brought them to that clinic to
11 explain why it's needed.

12 But someone that is admit outside, it's
13 like, no need to go below, below five r, so everybody
14 should be complied with the five r. And I have been
15 trying to tell at least the standard discussion at
16 least to have the debate going, telling like, the
17 state can do, need to do like a carrot and stick
18 approach.

19 They need to provide discussion factor,
20 and then they can restrict in this one.

21 However, some state regulations they just
22 go to the state and that's implies sometime we can
23 really, we can foresee some places they don't even
24 wear the badges because they're afraid that they might
25 reach their five r limit in their annual period and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they might be pulled out of the service.

2 And that's what we are worried about, even
3 at five r. So if this NRC goes to two r, and then it
4 only provides with a suggested recommendation for the
5 correction factor, and we can foresee a situation
6 where none of the, especially the interventional
7 fluoroscopy procedures, can be really impacted and
8 that'll be impact on the patient safety also.

9 MR. HODGKINS: Peter?

10 MR. O'CONNELL: Pete O'Connell, DOE. DOE
11 likely can live with any of these options. We saw a
12 while ago, the NRC was considering this, and so if you
13 look, every six months we have to update in the
14 Federal register our regulatory agenda.

15 So if you look at our regulatory agenda,
16 We're considering the same options right now. Back in
17 2007, when we amended 835, we chose option 2A. We
18 didn't change, make it into changes. At the time, the
19 primary reason we amended 835 2007 was for the
20 internal dosimetry aspects.

21 And we didn't see that, basically we saw
22 that this is just being a roadblock, that this might
23 just give some of the, some people the opportunity to
24 derail our attempts to adopt ICRP 60 internal
25 dosimetry methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Option 2C, if you look at DOE for the last
2 five years or so, you can count on your fingers the
3 number of people who have gone over two rem in any
4 year. So we could probably live with 2C. 2B, right
5 now, if I was a DOE worker and I got a six rem
6 exposure, DOE would, contractors would give me another
7 job for the next couple of months, and then January
8 first, I'd start fresh for next year.

9 We're, We're considering what would happen
10 if, reforms to the new system, and I've got eleven at
11 rem exposure today, how does that impact my livelihood
12 for the next five years. So I think that's something
13 that we have to work out.

14 MR. HODGKINS: Yes?

15 MR. STAFFORD: Pete, on the, on the
16 contractor side for DOE, as far as living with these,
17 you know, I agree, our doses generally run, you know,
18 well below two rem. You know, we, we operate that
19 level. But there's a lot, there's a cost associated
20 with that, the cost of business, the cost of doing
21 nuclear business, that We're willing to tolerate, you
22 know, as DOE contractors.

23 And, one of the things that is tough for
24 us is managing internal doses. That's the, that's the
25 wild card in our business, and often, you know, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to, we have to have bioassay frequencies where we
2 can demonstrate compliance with, with the limit.

3 And, instead of having frequencies where
4 we assure that we stay under five rem, if you lower
5 that down to two rem, that could have some pretty
6 significant impacts. I was looking at some data where
7 something like plutonium 238, we would have to have a
8 bioassay frequency of around fourteen days to be able
9 to demonstrate compliance with the two rem standard.

10 So, and some other things, thorium and
11 some, some things like that, as long as We're using
12 urinalysis and then of course we can resort to fecal
13 analysis and that would give us better, better data.
14 So, so there are, there are some impacts. They're all
15 going to increase costs and, and, and could affect the
16 workers as well, like you mentioned.

17 MR. HODGKINS: Karen? Yes.

18 MS. ROUGHNAN: Kate Roughnan, QSA Global,
19 speaking on behalf of industrial radiography. The vast
20 majority of radiography licensees are well below the
21 two rem. But there are some specific activities that
22 are done that are critical to the infrastructure of
23 the United States, such as taking x-rays of pipe and
24 gas, oil and gas pipeline and a lot of work in the
25 reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The, they're not getting the exposure from
2 the, the radiography, but they have to go into hot
3 areas and reactors to radiograph pipes and they
4 receive quite a bit of dose from that. So there's two
5 critical areas that still, you need to perform the
6 radiography.

7 But in those cases or those applications,
8 they will exceed the two rem. So it's just part, part
9 of doing the job, and if they have to hit the hard
10 dose of two rem, then those critical jobs will not be
11 completed.

12 MR. HODGKINS: Mahesh? Or, sorry. Go ahead.

13 DR. MAHESH: With the DOE and the other
14 speakers recommending telling like if somebody exceed
15 this limit they can bring in a different workers and
16 complete the job, but with the interventional
17 fluoroscopy, everything, the, if an experienced
18 cardiologist or a radiologist is about to come to a
19 limit of this one and if a patient comes in with the
20 critical condition, the experience factor doesn't make
21 a difference.

22 You cannot just pull somebody out and
23 bring in a fellow or a resident to complete the job.
24 So, that impact is going to be really serial in the
25 medical community.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. THISTLETHWAITE: I'll just echo Mahesh
2 on that, that the medical workers are highly
3 specialized workers and when they come in to operate
4 cyclotrons or to draw doses as a pharmacist or a
5 nuclear medicine technologist who's also administering
6 doses, that you have to be highly trained.

7 Also, the PET industry is switching now
8 from compounding to manufacturing, so it will fall
9 under the guise of the FDA, so we all have to follow
10 CGMPs and those rules will become effective next
11 December. So, there's even more regulations on who can
12 go in and draw doses and work in things. So, I would
13 just stress again, to, let's pick 2A and move on.

14 MR. HODGKINS: Ralph?

15 MR. ANDERSEN: Yes, Ralph Andersen with
16 Nuclear Energy Institute. I'd like to make a couple of
17 comments. One is, although I don't think it was
18 intended that way, just wanted to lay to rest the idea
19 that in nuclear power plants that we just go get
20 somebody else and put them in to complete the job.

21 These are highly specialized workers,
22 highly qualified, it takes many, many years to attain
23 the level of qualification that they need to do, for
24 instance, certified welding. So, it, the same
25 challenge, is what I'm saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We, we actually have the same issue. It
2 just may not be as apparent. Secondly, a number of our
3 workers, particularly the workers that tend to get the
4 higher doses, although still less than two rem a year,
5 are workers that work at different facilities during
6 the course of the year.

7 So, we have not for many years worked to
8 regulatory limits. Our workers have all been so far
9 below regulatory limits that we work entirely in ALARA
10 space. Introducing the idea of needing to do forward
11 planning over one year or even five years in trying to
12 anticipate the types of things that might come up in
13 the future at different facilities under different
14 licensee programs would be exceedingly challenging.

15 And, and I remember from a previous
16 lifetime of mine that, to a lesser extent, that could
17 also occur within the medical area, where you do have
18 a certain amount of transients that, folks working
19 between different facilities and the like.

20 And certainly, you're not able to
21 anticipate, gee, I wonder what the medical crisis is
22 going to be next week that I'm going to have to run in
23 and do a procedure. So, I think those types of issues
24 need to be looked at because they will introduce
25 unintended consequences.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And, and one comment I would make, Don, is
2 whatever input you get through the meetings, I think
3 you need to leave a, a category just called unintended
4 consequences that we can't fully anticipate now,
5 because it would change our decision making process if
6 We're having to weigh non-compliance with regulatory
7 limits against the other types of decisions that we
8 make.

9 A good example would be discretionary
10 work, or even the approach that people might use in
11 medical procedures or in other things where there are
12 alternatives available to them and those alternatives
13 could become driven by considerations of not
14 approaching your exceeding the occupational dose
15 limit.

16 Whereas, currently, they're focused much
17 more on efficacy of procedures and, and getting
18 particular work done that you want to get done.

19 Finally, I, I would just offer the comment
20 that when you go back and look at ICRP 60 and when you
21 think back through the discussions that occurred in
22 changing the five rem a year limit to the ten rems in
23 five years, I think it's important that NRC revisit in
24 it's considerations the scientific basis for that.

25 It wasn't just divide the limit by 2.5.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The consideration really was, as I recall, and I was
2 involve din some of those discussions, was managing
3 lifetime risk. Strangely enough, risk doesn't occur in
4 one year or even five year increments.

5 Secondly, two come up with a scheme that
6 would tend to distribute dose over a lifetime rather
7 than allowing all of the dose to occur very early in a
8 person's career, which is why we sort of strayed away
9 from age based controls.

10 And then, finally, there was the issue of
11 work equity, which ultimately led to the ten rem in
12 five years as a function of making sure that people
13 did not become unable to be employed because it was
14 well understood that the risks of putting somebody
15 into the unemployment ranks, the health risks
16 associated with that are fantastically higher than the
17 minuscule risks associated with the different between
18 two rem a year and five rem a year.

19 So there were a lot of factors that went
20 into that. I suggest that NRC in it's deliberations
21 should revisit some of that basis, look at the actual
22 performance of, in terms of, real exposures that
23 people are really receiving, and inform their decision
24 also from a true scientific basis, not just from a
25 multiple of 2.5.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Thank you. Let's go around
2 the room. How about, let's just go right around. Round
3 robin, here.

4 DR. ATCHER: Robert Atchers, society of
5 nuclear medicine. I want to reinforce a couple of the
6 things that were said by Duann and by Mahesh. First
7 and foremost is that most of the organizations I've
8 worked with, which are numerous over my career, always
9 have an ALARA program, and that ALARA program operates
10 at a level, trigger points far below what the
11 occupational limit is.

12 And so, by lowering the occupational
13 limit, you also lower, necessarily, what the trigger
14 points are going to be for, starting to have some sort
15 of intervention.

16 And, and, I want to reiterate again, the
17 scientific basis for going from five to two is really
18 not, not present as far as my interactions with both
19 medical physics and the health physics communities.
20 It's invisible to us.

21 More importantly, from the standpoint of
22 patient care, in the current environment, there is
23 absolutely no way that we are going to be able to
24 generate anymore reimbursement in order to hire more
25 people to be able to serve the same number of patients

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we do now if we lower the dose limits and
2 actually end up having to hire more radiopharmacists,
3 support personnel for the production of
4 radiopharmaceuticals.

5 As well as it was mentioned briefly, the
6 nuclear medicine technologists who hand the patients
7 who receive positron emitters, who get a, a higher
8 dose than those who get single photon emitters.

9 And so, the, the bottom line from my
10 standpoint here is that we, there's a potential here
11 to substantially increase the cost of us doing
12 business without any demonstrative benefit to, to what
13 We're, what We're proposing to do here.

14 So, we would support maintaining no change
15 at all in the occupational limit.

16 MR. HODGKINS: Thank you. Cheryl?

17 MS. BEEGLE: Again, as a nuclear medicine
18 imaging technologist, I can say at times I am PET
19 registered and I imaged alone for a number of years.
20 And as our PET work increased in my current position,
21 I was able to bring in more technologists.

22 However, we did hit limits when we were
23 limited to the number of bodies that we could rotate
24 through to do the work. I'm sure that, as Mahesh said
25 with the cardiologist and the interventional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 physicians, it's the same deal. Not only are you
2 looking at training, missed training opportunities for
3 physicians and technologists, but also the numbers of
4 physicians in this country who are qualified to do
5 some of those procedures.

6 And in this country, I would say that,
7 though I don't have the scientist's background
8 evidence to back this up, that we perhaps perform more
9 procedures in this country than they do in other
10 countries, and therefore our access to this type of
11 care is also increased.

12 When you look at the number of coronary
13 artery angiograms and stent placements and just CTA
14 work, interventional work, We're doing it for a, a
15 number of procedures that we never even thought about
16 twenty, thirty years ago.

17 On a second point, I'd like to say that I
18 would appreciate, as an individual, to have my records
19 entered into a National database from an exposure
20 standpoint, because over my career, I have worked in
21 numerous locations and in this economy, I know of many
22 techs who've worked in numerous locations.

23 And, I can say personally, I don't always
24 get my records from some of those locations, and
25 therefore having them in a database, whether they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all aligned properly and counted the same way, I
2 really don't care. Just be nice to go to someplace and
3 then I could figure it out. So, I would vote also for
4 no change.

5 MR. HODGKINS: Thank you. Michael?

6 MR. BOYD: Well, being EPA, I have to take
7 a bit of a contrary point of view. I think it's
8 important to look at the evidence of radiogenic cancer
9 risk from doses, which, whether or not you subscribe
10 to the linear threshold hypothesis or not, are fairly
11 well established at doses around ten rem, 100
12 millisieverts or higher.

13 I think it's worth keeping in mind, you
14 know, the acceptable risk to the workers, the fact
15 that, as Don pointed out, the estimates now have
16 increased fivefold from when the regulation was
17 written. I, I do perfectly appreciate the ALARA
18 aspects of regulating to a safe level below the, the
19 legal limit.

20 But I think my, at least my personal
21 opinion, not speaking for the agency here, would be
22 that a more relaxed interpretation of either a rolling
23 average or a fixed five year average could somewhat
24 relax those ALARA goals, so that it wouldn't be as
25 burdensome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, I'm not speaking for the agency, I
2 think my personal preference would be 2B.

3 MR. HODGKINS: Thank you.

4 DR. COOL: Mike, can I follow up with that
5 just a little bit? Because I thought I knew what you
6 were saying until you said it would relax the ALARA
7 goals.

8 MR. BOYD: I--

9 DR. COOL: Because that sounds opposite of
10 what I thought would happen, so can you help me a
11 little bit?

12 MR. BOYD: Well--what I was thinking was, I
13 think Willie said, you know, if you set it at two,
14 then We're going to have to operate to one. And I was
15 saying, well, if you really set it to a rolling
16 average or a fixed five year average of ten, then
17 maybe you can operate to 1.8 or 2.4 if you, in any
18 given year, something that would allow you a little
19 less restrictiveness as long as you were monitoring
20 doses.

21 But, I mean, I know that gets complex, but
22 I was speaking to the point of, if you set it at two,
23 it means you really set it at one, and I don't think
24 that necessarily has to be the case.

25 DR. COOL: Okay. All right. So, the point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here is that a fixed limit at two would require ALARA
2 levels to be set one place. Your suggesting is that a
3 rolling average, ten over five years, or fixed five
4 years, depending on how you did it, might allow people
5 to set at a different value.

6 And, just to finish that little soliloquy,
7 where we are today results in people setting yet a
8 different place. And We're going to have the
9 opportunity to talk about constraints in ALARA a great
10 deal in one of the other issues. So we'll get a chance
11 to come back to that, but let's continue now. Thank
12 you, Mike.

13 MR. HODGKINS: Okay. Stephen?

14 MR. BROWNE: Yes. Stephen Browne, with
15 Troxler. And I'm speaking from the standpoint of
16 portable gauge users, using sealed sources and
17 devices. And, our doses are very low, so really, none
18 of these options would have a significant impact from
19 that standpoint.

20 But one of the things that I have been
21 thinking about, with regard to lowering the limit to,
22 to any of those options, would be, how that would
23 effect potentially the threshold for monitoring right
24 now that's set at 10% of the annual limit of 500.

25 And, and if that same philosophy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 continued, then it would drop down to, potentially,
2 200 millirem. And, and that, that I think would have
3 potentially an impact on, on potentially some of our
4 customers, or some of our users.

5 Maybe a lot of people who would otherwise
6 be able to exempt themselves from monitoring or not be
7 as concerned about even reporting, if you're below the
8 threshold for monitoring, you may do monitoring, but
9 you wouldn't necessarily be subject to, you know,
10 submitting reports and things like that.

11 So, I would, I would be concerned about
12 how, what the cost kind of impact of that would be to
13 people who are receiving such small doses that they
14 really, that the risk is very, very small.

15 MR. HODGKINS: Thank you.

16 MR. BUNDY: Yes. Kevin Bundy. I guess, the
17 point, the one person here who does, who does not get
18 a vote, but I'd like to just support Mike's comment
19 about the lowest dose that we see. Radiation effects
20 is about 100 millisieverts, then if it's LNT, then
21 maybe the effects are being lost in the background.

22 But, still, 100 millisieverts, fifty
23 millisieverts, is only half of that. So we do
24 appreciate the ALARA considerations and the, at least
25 in Canada, the five year block for averaging the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dosing of the twenty.

2 One comment with record keeping, we do
3 have the National, the National dose registry, and
4 when that was first, it was actually first created for
5 epidemiological purposes, not for regulatory purposes.

6 But with our new regulations, we had it
7 adopted for regulatory purposes so we can indeed
8 monitor individual exposures and licensees themselves
9 can go on, can request doses on an individual basis.

10 MR. HODGKINS: Thank you.

11 MR. HICKMAN: I've sat here--excuse me--
12 eerily quiet this morning because as, Stephen, this,
13 this doesn't really affect our operation. Our doses
14 through the years are below the threshold for
15 monitoring. So we could adopt any of these options and
16 have little to no impact, you know, on our business.

17 Had a unique situation arise in the last
18 couple of years with our international customers. They
19 have suggested that we lower our limits to the ICRP
20 limits, to fall in line with the rest of the
21 international community.

22 Again, that would have no impact on us
23 because our maximum exposed person over the last ten
24 years has been about 400 millirem. The administrative
25 burden of all the procedure changes, the training of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all the site personnel, would be the largest impact
2 for us. Thank you.

3 MR. HODGKINS: Thank you. Lee?

4 MR. COX: Lee Cox, Agreement States. The
5 majority of our licensees and registrants probably
6 would not have a problem maintaining the two rem
7 limit, if that were the option. Having said that,
8 everyone that I've talked to and, and most of the
9 licensees that I've spoken with in the states would be
10 voting for 2A, no change.

11 The licensees that have spoken, or, the
12 group, the regulated community that's spoken the
13 loudest are the interventional radiologists and the
14 industrial radiographers, and now add PET to that.

15 However, in North Carolina, we've, we've
16 seen issues with extremity doses for PET, but not
17 whole body. But, anyway. Just wanted to read a couple
18 of things that, that I've gotten comment on those. And
19 I didn't check these numbers, this came from a
20 industrial radiographer out of Louisiana.

21 Said that with a two rem per year, you're
22 looking at only 167 millirem per month with a
23 radiographer working five days a week, it would limit
24 them to eight millirem per day. They would have, they
25 estimated they would have personnel out of work three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 months, with three months left in the year.

2 Some other, I heard, unintentional
3 consequences, wanted to address that. One of those
4 would be medical event. If these limits changed, would
5 we also expect the definition of a medical event to,
6 to go down as much.

7 Also, the declared pregnant worker limits,
8 would they also go down by as much, and would we be
9 discriminating against a certain individual not being
10 able to work in the radiation field by doing that,
11 that may be an unintended consequence.

12 And, it's a comment on the National dose
13 database. I don't know how we would accomplish that
14 since there's not one agency that regulates x-RAY, all
15 types of radiation such as x-RAY, radioactive
16 material. It's not the NRC, so.

17 MR. HODGKINS: Thank you. Peter?

18 MR. O'CONNELL: Peter O'Connell, DOE. This
19 is deja vu all over again. In 2006, we had public
20 meetings, and like we said at the time, these options
21 were on the Board for us, and a lot of the same
22 arguments or discussions were held.

23 Discussions were that 10 CFR 835 already
24 had ALARA provisions in it, this would result in a
25 significant increase in record keeping. Contractors,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all the DOE contractors already use administrative
2 control levels well below the five rem, requiring DOE
3 approval if they were to exceed those administrative
4 control levels.

5 Very few people would be effected, because
6 very few people go over two rem, yet we would
7 adversely or potentially adversely impact the
8 operational flexibility of the DOE facility. And so
9 the net result was, we concluded that 2B and 2C really
10 had no significant increase in protecting the workers
11 health or safety.

12 MR. HODGKINS: Willie?

13 MR. HARRIS: Willie Harris. Again, just act
14 with the comments earlier. I think, for the majority
15 of us in the power reactors, recognizing that one of
16 the, the key things was to get, you know, better
17 alignment with international regulations that are out
18 there.

19 Many of us in fact right now, I know We're
20 not to the constraints yet, but what, would vote for
21 two alpha, you know, keeping the limits the same. But
22 in part making use of the fact the at many of us have
23 implemented those administrative Guidelines that are,
24 in assess the two rem per year.

25 And then implementing the appropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actions, you know, for works that would go over that
2 two rem per year. I think that does get some degree of
3 alignment with the international communities,
4 especially when you consider the definition, or how
5 constraints are used in the international communities.

6 The concern would be, you know, if you
7 consider the typical year for a power reactor, you
8 basically have two seasons. You have outage season,
9 and then you have non outage season. Outage season
10 tends to be depending on where you are in the spring
11 and in the fall. The spring plants are going to have
12 it really good. The fall plants are going to have
13 issues.

14 You know, as Ralph said, you just don't go
15 out and get a nuclear certified welder, you know, to
16 come into your plant. You know, those, those people
17 are highly trained and experienced, and the impact it
18 could have on those fall outages, many of us are
19 worried about that and as Larry also mentioned, then,
20 the, the potential to increase, you know, the
21 collective radiation dose.

22 And, you know, while, when you read NCRP
23 documents, you know, collective radiation dose doesn't
24 really have a significant merit in, in those
25 documents, at least in the United States. You know, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of individual doses, one of the things We're
2 concerned with, but the overall collective dose for a
3 facility is one of our measures of excellence.

4 And the impact it would potentially have
5 on that as a result of, you know, having the, the, the
6 potentially, you know, make decisions relative to work
7 that's conducted or do we look to have four workers
8 versus two, can we even get the four workers.

9 So there is a potential for that, that,
10 quite frankly most of us don't see a significant gain
11 in the, in the overall safety for the workers to
12 change the limit. You know, so having said that, I
13 think, you know, two alpha would be the, the option
14 that we would look for, and then look to consider
15 some, some discussion around constraints or the
16 administrative Guidelines.

17 MR. HODGKINS: If this was a vote.

18 MR. HARRIS: If this was a vote, yes.
19 Recognizing that it's not necessarily a democracy.

20 MR. HODGKINS: Phil?

21 MR. GIANUTSOS: From the waste standpoint,
22 we operate under a, a similar set of administrative
23 controls that we've, we've heard a pretty small
24 fraction of the regulatory limit. Interestingly over
25 the last five years or so, the amount of activity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we've actually handled has increased by factor of four
2 or five. I think to some extent, that's the result of
3 many facilities attempting to manage their
4 occupational exposure by sending the higher activity
5 projects to us to handle.

6 Our occupational exposure remains flat,
7 but we are running at the point where additional
8 improvements will have additional capital costs
9 associated with them. We've looked at the NRC's
10 original recommendations, or starting point of \$2,000
11 per man-rem.

12 We've raised that up several times, just
13 for planning purposes, as our specialists become
14 basically consumables. Like the specialty welder,
15 we've got specialty furnace operators, incinerator
16 operators, maintenance personnel, that we have to
17 manage.

18 And similar to the fall outages, if you
19 came up with a damaged source at the end of the year,
20 or you have a hot cell recovery that needs to be done
21 at the end of the year, there may not be personnel
22 available within that, that envelope to do the work in
23 a timely manner.

24 You know, these, these improvements, if we
25 want to call them that, the reduction in dose would,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would only come at specific cost. And I think you've
2 already answered the question, are there any peer
3 reviewed robust statistics that say the current
4 occupational exposure limits are not sufficiently
5 protective.

6 I don't see any. If there aren't any, then
7 we really have to look at what costs we're willing to
8 absorb to just push that limit down artificially. So.

9 MR. HODGKINS: Thank you, Phillip. Mahesh?

10 DR. MAHESH: Regarding this, one, Michael
11 mentioned about the two r, enacted. There are some
12 evidence about this hundred millisievert, like, ten
13 rem, as one of those biological effect in terms of the
14 you adopt linear non threshold policies.

15 Even at 100 millisievert is a lot of
16 controversy with regarding to the actual data
17 available. One of the data which I had looked at our
18 group has looked in, is like, in addition, biology if
19 really has to see any chromosomal aberration at the
20 blood level, a person has to be exposed more than 250
21 millisievert dose.

22 So, in that aspect, five rem seems to be
23 quite a conservative limit. And as of now we don't
24 have any evidence telling us scientific papers
25 indicating by going from five rem to two rem, we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to be having any significant implementing the
2 pair, in the safety of the population.

3 So, there's no scientific evidence that
4 you're going to be doing, improving the safety for the
5 population by going from five r to two r. On the other
6 hand, from the medical community, it's going to be a
7 major impact.

8 Just to reiterate the point, in the U.S.
9 as of this NCRP report 160, there are more than 400
10 million x-RAY procedures done in the U.S. as of 2006,
11 out of which nearly 62 million were CT, 17 millions
12 were nuclear medicine, 16 were interventional
13 procedures.

14 The net, the, looking at the global also,
15 the, the country which has the highest healthcare
16 facility has lot more diagnostic frequencies done,
17 compared to the other countries. So in that aspect, by
18 changing to a low limit, you're going to be impacting
19 lot of the training facilities and training groups and
20 interventional fluoroscopy to, and also the PET and
21 nuclear medicine be, people.

22 MR. HODGKINS: Thank you. Larry?

23 MR. HAYNES: I don't think I have a lot to
24 add to the power reactor perspective. But I do have
25 concerns, what I've heard one time today, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I've heard numerous times in the past about a lot of
2 the Europeans and other, international aspects of
3 folks not wearing a dosimeter because they're
4 concerned about running up against the limit.

5 And, you know, there's an ethics piece of
6 that and we talk about nuclear safety culture, and are
7 we going to drive, if we artificially constrain our
8 doses, are we going to drive folks into ethical
9 positions that really is not somewhere we need to go
10 or want to go.

11 And, operate in a safe manner, there are
12 ALARA programs that demonstrate that we can do that
13 already. And there are only a subset of folks that are
14 running near the five rem a year limit anyway, so in
15 consideration for the safety, from a medical
16 standpoint, I, I know, I don't want to have to have
17 my doctors go change out in the middle of the
18 procedure because he's up against the limit.

19 So, we need the flexibility built into a
20 process that's protective of the whole population and
21 take consideration in for the individuals that are in
22 positions that we need to consider those special
23 cases.

24 MR. HODGKINS: Thank you. Steve?

25 MR. MATTMULLER: Hi, Steve Mattmuller. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 suppose in full disclosure, I should also say that I
2 am a part time employee of the NRC. I serve on their
3 advisory Committee for medical isotopes. But, I'm not
4 wearing that hat today.

5 This is Steve Mattmuller as a PET
6 pharmacist, who operates a cyclotron at Kettering
7 Medical Center in Kettering, Ohio, who I should point
8 out, we are just as big as that other Kettering you
9 may have heard about in New York City, they just have
10 a better marketing Department than us.

11 And also, a commend to those of you out
12 there in webinar land, you have my sympathy. I have
13 tried to participate at a meeting like this and it's
14 very challenging. You do have the upside that you can
15 take as many and as long coffee breaks as you want to.

16 The first thing that strikes me is, why
17 I'm here, or why We're all here. And I was, and
18 someone brought up the gorilla in the corner, and I
19 would suggest a real gorilla is how much faith and
20 strength we put into the LNT model, because that's
21 what's driving these newer, lower limits.

22 And, I know this isn't the place to raise
23 these concerns, but since, fortunately, since someone
24 else mentioned LNT, I felt comfortable to do that.
25 And, and also, from our perspective, the, the health

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 physics society has a position statement that I'll
2 read from their website.

3 There is substantial and convincing
4 scientific evidence for health risk following high
5 dose exposures. However, below five to ten rem, which
6 includes occupational and environmental exposures,
7 risks of health effects are either too small to be
8 observed or are nonexistent.

9 So, I really struggle, if I am, if I do
10 have my regulatory hat on for the NRC when I work for
11 them, how to justify going from five down to two
12 on an annual basis, especially from a cost benefit
13 ratio.

14 The other point I'd like to make is, is,
15 looking at the participants here, and I'm going to
16 take a wild stab that most of you have no idea what a
17 PET cyclotron facility looks like or how it operates.
18 But, on a daily basis, We're producing iridium, a
19 medical isotope, fluorine F18, has a 110 minute half
20 life.

21 And so we have to produce it, we have to
22 do our radiochemistry to produce our
23 radiopharmaceutical fluorodeoxyglucose, or as we
24 always call it, FDG. And then we have to dispense it,
25 package it up, and ship it to local medical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facilities.

2 And, and so, mind you, We're doing this
3 all with the time constraint of a 110 minute half
4 life. So, time is of the essence, and so there are
5 about, and Duann can correct me, I want to believe,
6 about 125 large commercial PET facilities around the
7 U.S..

8 And there's only about three or four
9 people per site, so if we run into an occupational
10 limit and have to stop working, there's really not
11 anyone else who can step up and replace that
12 individual.

13 The other concerns we have, being medical
14 and the power plant people can appreciate this, maybe,
15 to them the NRC is a big deal. To us, the FDA is an
16 even bigger deal. And, and so, trying to follow the
17 CGMP recalculations that are coming out is a huge cost
18 issue for us also.

19 And, and just to complete our triad, we
20 have to worry about CMS, and which, they set our
21 reimbursement rate. And, and We're basically
22 powerless. We have no ability to raise revenue, as
23 opposed to a power plant. We can't go to a Commission
24 to charge customers more for the electricity we
25 generate, or would generate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 From our perspective, or from our
2 environment, we have no ability to raise revenue. I
3 mean, it's, it's totally based on what CMS is willing
4 to pay. Or, to reimburse us at, which, if you follow
5 this little issue called health care debate in the
6 U.S., you'd know it gets less and less for us each
7 year.

8 So, our concern is keeping this important
9 medical isotope available, because it's not just used
10 as diagnosis, it's also used in monitoring therapy in
11 our patients.

12 And if you want or need a little
13 additional perspective on medical isotope shortage, we
14 happen to have an expert with us here from Canada, in
15 that we just came through a horrible debilitating
16 medical isotope shortage with molybdenum 99, which is
17 the parent medical isotope for technetium 99 that we
18 use in the other side of nuclear medicine, not the PET
19 side.

20 So, all that, to say, 2A is critical for
21 us. It's, to go beyond that would have a big impact on
22 us, to where we, people would close shops. Because we
23 have none to very limited ability to respond from a
24 revenue enhancement perspective, to cover the
25 additional cost, to cover employees, to find, well,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one, just to find the additional employees and then to
2 be able to afford those additional employees. Thank
3 you.

4 MR. HODGKINS: Thank you, Steve. Mike, did
5 you want to sum up a little bit?

6 MR. SNEE: Yes, thank you. Mike Snee,
7 CRCPD. I'd like to once again reemphasize what I said
8 earlier. I've been a regulator now for fourteen years,
9 which I think qualifies me to say that you do not want
10 regulators writing regulations that effect your
11 industry without your input.

12 And, to get RC's credit, they are
13 certainly asking for your input, so please give it to
14 them. But I would also like to make a few comments on
15 the very last question in this section, if that's, if
16 it's the time, concerning occupational dose reports.

17 And the question was, should NRC consider
18 requiring all types of licensees R01 report
19 occupational exposures. The NRC in the regulations
20 require certain licensee types to report those to the
21 NRC. When Ohio became an agreement state and we took
22 over regulatory authority from the NRC in 1999, our
23 regulations also required that.

24 And, for about five years, we were getting
25 these reports in, which went into a file cabinet. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 did nothing with them, we didn't feel we needed to.
2 Most of these licensees, we inspected on a very
3 frequent basis, one to two years. We're talking
4 industrial radiographers and so forth.

5 So, we felt we had a good handle on what
6 doses they were receiving. The NRC never asked us for
7 those reports. Not sure what the NRC does with the
8 reports they got. If, if they are tracking them and
9 something good is being done with those reports,
10 that's fine.

11 But, after about five years, we changed
12 our regulations and we no longer require our licensees
13 to give us that information. That's one of the
14 regulations that agreement states do not have to
15 adopt. And, we do not collect that. We haven't
16 collected that for a number of years.

17 And, being from a state that brought you
18 Joe the Plumber, you may remember that certain fellow
19 state of Ohio employees decided to check on a member
20 of the public and get into his personal information.
21 Since that time, we, in Ohio, as a Government
22 employee, are under extremely strict requirements
23 concerning personal information and what we collect
24 for whatever reason.

25 And unless we have a very good reason to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 collect it, we don't collect it, and I, and dose
2 information on individuals would certainly be part of
3 that. I would not want to get that into my Office
4 right now.

5 And considering that the vast majority of
6 radioactive material licensees are not regulated by
7 the NRC, but by agreement states, who is going to
8 collect this information and, as the NRC calculation
9 tell you, the agreement states have had a number of
10 conversations with the NRC on other topics that we
11 won't discuss today about, for a lack of better term,
12 states consider unfunded mandates to the states.

13 Because the states are required to get
14 this information from their licensees and then do
15 something with it, so, unless there is a very specific
16 reason for this, and there's a very secure way of
17 storing it, I don't know where We're going with that
18 particular.

19 MR. HODGKINS: Thank you, Michael. And, Mr.
20 Stafford?

21 MR. STAFFORD: Just to follow up on that
22 last comment with Mike, we, it would be, it would be
23 good if we had some way of managing dose information
24 without linking it to a social security number, you
25 know, you're taking privacy act information and you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 converting it into protected PIIs, so.

2 Just, in general, in terms of where, where
3 I, some observations, I guess Don had a early, one of
4 his early slides, he said, you know, what are the
5 implications as appropriate in scientifically
6 justified and in greater alignment with ICRP 103.

7 And I, I think, if it was clear, if there
8 were clear scientific justification for reducing our
9 dose standard, I don't think anybody in here would
10 really argue with that.

11 You know, we'd try to figure out how we
12 could get there from here, but, you know, the
13 scientific justification doesn't seem to be there, I
14 guess, to really motivate us.

15 Some of the other things that I see in, it
16 would increase monitoring requirements across the
17 Board and add some complication there. Basic, like I
18 mentioned before, bioassay frequencies are problematic
19 for places that have internal dose issues for some
20 isotopes that have technology shortfall in how easily
21 they're detected.

22 Unintended consequences to the workers, I
23 mean, it's a pretty creative industry out there, and,
24 and I'm afraid the workers could get the short end of
25 it in terms of have to manage dose and shifting people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 around.

2 The, and I guess, all in all, it, we could
3 cope with it, but it would be an increased cost of
4 doing business and those costs would have to be
5 absorbed somewhere, and, you know, in the DOE
6 community, you know, we operate at fairly low doses,
7 but it comes with a price. It comes with a cost.

8 And, and, We're getting pressure to be
9 creative and look for ways of reducing our costs of
10 doing business so that we can stay competitive. So
11 there's inertia in, in both directions here.

12 MR. HODGKINS: Thank you. Duann?

13 MS. THISTLETHWAITE: Thank you. Just to
14 reiterate, I would be in opposition of going to
15 anything besides five rem at this point. Basically we
16 want to continue the nuclear medicine studies that we
17 have in order to keep healthcare costs down and
18 improve patient outcomes, instead of doing unnecessary
19 surgeries and things that would have to come about if
20 there were no nuclear medicine studies.

21 We do monitor our occupational workers, we
22 follow ALARA, and there's no added benefit from going
23 from five to two, so please keep it at five.

24 MR. HODGKINS: Last, but not least, Kate.

25 MS. ROUGHNAN: Kate Roughnan, QSA Global.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm going to have two separate comments, one from the
2 manufacturer and distributor standpoint and one from
3 the industrial radiography.

4 In the U.S., the industrial radiography
5 that's performed is very production oriented, so it's
6 a very quick type of exposure, sometimes the source is
7 only exposed for several seconds, which makes it very
8 difficult for the operator to get out of the radiation
9 area.

10 So, that's one of the factors that results
11 in their high dose. They use higher activity sources
12 than most of the other countries. They, most countries
13 use about fifty curies of iridium, the U.S. uses about
14 100 curies and more.

15 And, I echo the comment that other people
16 have made about operators in different countries not
17 wearing their badges. We do have evidence of that, we
18 do know that happens and that may be one of the
19 factors why they can meet the two rem on an annual
20 basis.

21 Speaking from the manufacturer and
22 distributor standpoint, We're a commercial facility.
23 WE'RE out there to make money. So if there's an
24 opportunity out there to have a different type of
25 isotope for a different application, We're going to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 after it.

2 And if We're constrained to less than two
3 rem in a year, where implementing this application of
4 this new isotope may cause us to go over it, that
5 limits our commercial opportunities. We do maintain a
6 very robust ALARA program. We, We're very well, a
7 little bit below the two rem and it takes a lot of
8 effort to do that, but we'll continue to do that even
9 though we have the five rem annual limit.

10 But if we went to a five rem--excuse me, a
11 two rem annual limit, it would limit the commercial
12 opportunities in the future.

13 MR. HODGKINS: Thank you. And with that,
14 here's the thing. We're, it's 12:05, agenda said
15 twelve o'clock, break for lunch. You guys were five
16 minutes late to break, so We're right on time.

17 All right, but here's the thing. We are
18 going to take an hour and a half off for lunch. It
19 said hour and fifteen minutes, but it seems like there
20 are places that are close, including in the hotel
21 itself, so feel free. Lunch is on your own.

22 We will start promptly then, twelve--one
23 thirty. Okay? One thirty, be back in the room a little
24 early so you can be in your place and hopefully that
25 little wiggle room will make you wiggle right to your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 seat right away. Okay? We'll see you all at one
2 thirty, and then we'll start with the rest of the
3 discussion on this particular one because We're going
4 to go over. Thank you very much.

5 (Whereupon, the above entitled matter
6 under investigation went off the record at 12:06 p.m.
7 and returned at 1:31 p.m.)

8 MR. HODGKINS: Okay. And so, where we were
9 from the last time when we broke was we just sort of
10 finished up with the panelists. So, Don, want to talk
11 a little bit how we'll proceed, then, from there?

12 DR. COOL: On the webinar, please mute your
13 phones at the moment. We're getting some interesting
14 discussions which I'm not sure you actually wanted to
15 have. This is one of those classic open mic moments.

16 For somebody out there, We're listening.
17 So if you can mute your, your phones, that would be
18 good. We might be interested in what you're saying but
19 it is in fact just a wee bit distracting. All right.

20 Now that I've got a microphone that is
21 actually working, that's a good thing, what I want to
22 suggest to you first is organizationally, for purposes
23 of the logistics of this meeting, I would like to
24 offer this proposal, see if you are comfortable with
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We are quite a bit ahead of the draft
2 agenda which we had originally laid out for today. I
3 think we still have some discussion that needs to
4 occur around the occupational dose limits, because we
5 haven't had any opportunity for people in the audience
6 to provide any views, which are either supportive of
7 some of the things that have been here at the table or
8 countermanded.

9 And there are a few things where from the
10 NRC staff's perspective like to go in and check a
11 little bit more on some of the questions to make sure
12 that we've, we clearly understand what those are. But
13 that certainly is not going to take nearly all of the
14 afternoon.

15 So, with all of your agreement when that
16 is completed, however long that takes, we will move
17 onto the third issue, which is the doses to special
18 populations. And in fact, a couple of you have already
19 raised some of those issues and we'll work our way
20 through that discussion this afternoon.

21 What I would suggest to you is that even
22 if we have managed to finish that by the middle of the
23 afternoon or so, that we break the meeting for today
24 at that time.

25 Because I think the discussion on ALARA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 planning and constraints and planning values, which
2 many of you have already raised in the limit
3 discussion this morning, will also warrant a
4 significant discussion that we ought not to just get
5 started on and feel like we were trying to rush to a
6 conclusion or otherwise.

7 And using a, a cooking analogy, and I am
8 not a chef, but I think perhaps that would also be a
9 good point to let you go off and let all of the ideas
10 of the day simmer together so that we can come back
11 and discuss the ALARA planning constraints and
12 additional issues that may have come up overnight and
13 be able to allow back whatever time is needed for
14 tomorrow.

15 So, if I can just sort of look for
16 noddings, if people are generally comfortable with
17 organizing our time this afternoon and tomorrow in
18 that way--

19 MR. HODGKINS: This would be yes.

20 DR. COOL: I think this would be yes.

21 MR. HODGKINS: Yes, there you go. I see
22 some nods and it's not sleep.

23 DR. COOL: Well, being after lunch, we do
24 have to check that.

25 MR. HODGKINS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: And we do, do have to make sure
2 that we keep you sufficiently engaged that you don't
3 nod off, it's not good for the microphones if you bang
4 into them when going to sleep. So, I think that's
5 acceptable. That being the case--

6 MR. HODGKINS: We'll--

7 DR. COOL: I think we finished around the
8 table--

9 MR. HODGKINS: How about this, let's just
10 see, is there any other issue or comments that the
11 table wants to make to do a, a icebreaker, you know,
12 as far as--or is the audience ready to participate?
13 You guys want to react to what was said prior to our
14 break? Anybody? Microphone, please.

15 PARTICIPANT: Kenneth Conway, Babcock and
16 Wilcox. About the medical. I used to be an RSO at
17 University of Michigan, and I do very well remember
18 that most of the cardiac surgeons pressed each and
19 every of them, all the limits.

20 I also remember that the more operations a
21 given surgeon made, the greater their success rate,
22 or, rather, the lower the death rate. And, there's
23 been articles, which is of interest to, particularly
24 the patient. Probably to the doctor.

25 And there's been a number of articles in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the common media about this very fact, and various
2 hospital ratings, et cetera. So, if the dose limits
3 impact the ability to do a lot of operations, you
4 think the converse would also be true.

5 There was a comment about reducing the
6 limit, will increase, also reduce the action level for
7 individuals requiring monitoring. I'd expect that, I
8 don't believe it would be 200, most people calculate
9 up to something like three quarters or half of the
10 given limit to start monitoring, just in case you have
11 someone go over your practice or your expected limit.

12 So, I would, for instance, in my facility,
13 it's around 350. For a 500, I would expect to do
14 around 150 for a 200 so the population of monitored
15 individuals is likely to expand considerably with
16 associated costs, paper, records, et cetera.

17 And the last is, I truly do not see why
18 compatibility with dose limits between us and the
19 international community is needful, as long as its
20 compatibility with how the doses are calculated. They
21 can accept our numbers in good faith to allow us to
22 work in their, their facilities, then that should be
23 all they need, the numbers, the dose report on the
24 individuals either low enough to allow the work in
25 France or some other country, or it is not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The fact that he got the one rem in a
2 country with a five r limit, should be irrelevant to
3 them. What should be relevant is the one rem that's on
4 his report for the year. Thank you.

5 MR. HODGKINS: Thank you. Audience, anybody
6 from the panel want to react or add to that comment,
7 echo it? How about from the audience, anybody else?
8 Yes, can you make sure you get in the microphone and
9 speak directly into it?

10 PARTICIPANT: I'm Carl Paperiello. I guess
11 I would reluctantly endorse 2B. Primarily for
12 consistency with international standards. If I reflect
13 on the nuclear industry as it now exists in the United
14 States and I'm thinking of power and a fuel cycle, 2A
15 plus ALARA has resulted in the risk, the doses are too
16 big.

17 However, We're out of whack with the rest
18 of the world. As other nations move into nuclear
19 power, it is the interest of the united states
20 Government that they have rigorous regulatory regimes
21 that follow international standards, the guidance of
22 IAEA.

23 Here is a major area where the United
24 States is out of whack, and if we as the power we are,
25 are out of whack, that's not a particularly good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 example to the countries that are moving into the
2 nuclear power area.

3 So you got to weigh the offset, the up and
4 down side. Because this Rule, I view, in my view, but
5 I don't know a lot about the medical areas, much as I
6 know the nuclear power area and the fuel cycle area,
7 it's going to have an impact on medicine, and those
8 things are going to have to be weighed in the whole
9 thing.

10 A reflection on 2C. We have a rather
11 rigorous enforcement of our rules in this country,
12 particularly for material licensees. I know from
13 talking to regulators and particularly in the European
14 Union, maybe in well past 9/11, they've gotten more
15 rigorous.

16 But they are not as rigorous in the United
17 States, and I had a regulator from a country that has
18 a two rem standard tell me, when I asked them, you
19 know, what dose does the doctors get, and they said,
20 well, we don't know. They generally don't wear their
21 badge.

22 MR. HODGKINS: Thank you. Okay, anybody
23 else from the audience? Do we--oh, one over here.
24 Thank you.

25 PARTICIPANT: I'm Jeff Foster from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Constellation. From a utility perspective, I am
2 certain that if the limits are reduced, we would in
3 turn have an administrative limit that's either ten or
4 twenty percent below that.

5 That is something that would, in turn,
6 make it, make the sites less flexible for managing
7 them, and it would also put some workers in a position
8 where they wouldn't be able to be employed the entire
9 year.

10 I heard a lot of other arguments also. The
11 one thing I haven't heard is a compelling reason to
12 reduce the limit. I have heard a lot of impacts as a
13 result of it.

14 MR. HODGKINS: Thank you. Comment from the
15 panelists? We have microphone two. Are you going to go
16 to the microphone?

17 PARTICIPANT: Actually I was.

18 MR. HODGKINS: All right, speak in.

19 PARTICIPANT: Okay. I made a few notes over
20 lunch. It's kind of chicken scratch, I hope this makes
21 sense.

22 MR. HODGKINS: Name, please?

23 PARTICIPANT: And you are--sorry, I'm Julie
24 Clements. I work for the Army Corps of Engineers. And,
25 as you pointed out this morning, We're not necessarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here to answer all these questions, but, you know, to
2 solicit input and perspectives, so I wanted to offer
3 our perspective, USAS'.

4 Those of you who are familiar with USAS,
5 we are an NRC licensee. We have a number of NRC
6 licenses for both sealed and unsealed sources, but we
7 also do a lot of environmental restoration work.

8 And, we work on a whole number of sites.
9 We work on sites that are on the NPL, that are not on
10 the NPL. We work on sites that are currently or
11 formerly licensed by the NRC or an agreement state. We
12 work on DOE reservations.

13 Some of our job sites are none of the
14 above, and we just have to follow OSHA's regulations,
15 29 CFR. We also do work outside the continental United
16 States, and we have Army reactors that the NRC doesn't
17 regulate but that we issue permits for ourselves, out
18 of the Army reactor Office.

19 So, Lee, you mentioned this morning in the
20 medical field that you have to deal with overlapping
21 regulatory regimes and, you know, so do we. So with
22 regard to issue one, I think it's, it's difficult,
23 having all these different regulatory regimes, but
24 changing now all of our forms, our guidance, our
25 internal regulations, that would be an administrative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 burden that we would have to consider.

2 And, regarding the issue two, I think as
3 an agency, we would support 2A. Although, neither USAS
4 nor it's contractors generally approach five rem per
5 year, it's always possible. You know, we never know
6 what kind of a job We're going to be working on next,
7 so 2A would give us the greatest flexibility. Thank
8 you.

9 MR. HODGKINS: Thank you very much. From
10 our audience, any other reactions, comments? Yes?

11 PARTICIPANT: This is from a, from a--I'm
12 Mark Smith with Sterigenics. And, strictly from the
13 science end of things, we were talking here earlier
14 about the, the models and the risk levels and as, if
15 we start figuring in, as you would, as a real
16 scientist, figuring out the uncertainties associated
17 with models, with the risk factors, with the dose
18 measurement on that.

19 It, it, do we really have a good technical
20 basis that says five rems different than two rem? To
21 me, I don't believe that there's a significant
22 difference.

23 MR. HODGKINS: Okay. Yes? Steve.

24 MR. MATTMULLER: Yes. Steve Mattmuller.
25 There was statement made earlier that no other, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's unanimity with the international community,
2 and I want to say, after lunch, we were talking, but I
3 believe the french have disagreed with--that, the
4 french disagree with, at least I know for sure, the
5 LNT model and I'm not sure if they've adopted
6 occupational limits. But at some point, the french are
7 pushing back on this.

8 MR. HODGKINS: Okay. Anybody want to react
9 to that?

10 DR. COOL: Just a note to clarify some of
11 that, I'll give you a reaction to that. You're
12 correct, the French academy of science has raised
13 questions about the LNT model as the model most
14 representative of the model. The french regulatory
15 authority still uses that model for the basis of
16 regulation. And the french regulatory authority has
17 moved to a straight flat two rem per year.

18 MR. HODGKINS: All right. Audience
19 participation?

20 PARTICIPANT: Yes, I'm Tim Taulbee, I'm the
21 radiation protection manger for USEC's porch facility,
22 uranium enrichment. Not speaking on behalf of the fuel
23 cycle nor as a health physicist, I agree with the
24 scientific approach but in our industry, what I
25 consider the operational health physics.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I've worked a great deal with the
2 Department of energy as well. We've been on both sides
3 of the regulatory ledger, and we have to factor in the
4 human factor, that when we have workers and We're
5 represented at our site by the USW, there are very
6 large National, international union, they get this
7 information and they understand it and some of our
8 arguments today, and I agree with them.

9 But what we have to factor in when we tell
10 them that we don't have enough workers, their response
11 is, go get more workers, train more workers, more
12 worker training programs, more money for worker
13 training programs.

14 Matter of fact, the USW has a very large
15 training contingency that they provide a lot of
16 training to get workers into our industry and that has
17 been the response to many of the situations that we've
18 presented them with as far as ALARA, controlling
19 certain things that the gaseous diffusion plants is.

20 And, Pete's nodding his head. You guys
21 need to go get more workers. And of course, they don't
22 necessarily think that they ought to have a reduction
23 in salary or hours work, that we should move them to
24 non exposure positions, and in turn, bring in more new
25 workers, and they claim that would be much better for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the industry.

2 So, this is a factor that We're going to
3 face when we don't embrace this, or we don't act upon
4 this, and that's just my advice after twenty one years
5 of negotiating contracts and disputes.

6 MR. HODGKINS: Thank you very much. Yes?
7 Duann?

8 MS. THISTLETHWAITE: Hi, Duann
9 Thistlethwaite. Just to respond to that, actually. I'm
10 from Pennsylvania, and Pennsylvania is, has a lot of
11 union workers, actually. So we do deal with union
12 workers.

13 In my past experiences, have had union
14 workers, and my brother in law actually is a mine
15 worker, so safety of personnel is first and foremost,
16 you know, personally and in my professional life as
17 well.

18 And I don't think that lowering this level
19 will make it any safer for workers because there's not
20 any scientific basis for that, and I think that's
21 first and foremost, most important, to the workers and
22 to all union negotiators to make sure that safety is
23 first, and I don't believe that lowering the number
24 would help that in any way.

25 DR. COOL: So, let me play Devil's Advocate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for a moment. Not because I'm disagreeing with you, or
2 otherwise, but I have had people say to me from other
3 countries, that they get challenged all the time as to
4 why their number is different from an international
5 standard.

6 And so, I wonder, to you and some of the
7 others for the unions, do you get challengers, or
8 would you anticipate challenges from the workforce
9 when they look at what happens in the United States,
10 they see a result here which today would suggest that
11 the limit stays the same, and they ask you, why the
12 rest of the world did this, why are you not protecting
13 me as well as everyone else in the world believes
14 should be protected? How would you answer that
15 question?

16 MR. HODGKINS: Several people.

17 MR. MATTMULLER: Steve Mattmuller. I, I
18 think it's, we could say, we are protecting our
19 workers, as well as yours. You just arbitrarily
20 lowered the number that you're worried about, but
21 you've not shown any benefit.

22 And, this was a question I had for the NRC
23 staff. I mean, we've been saying there's no scientific
24 validity behind lowering this. Are you aware, besides
25 just the international Committee, picking a lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number and saying this is safer because two is less
2 than five?

3 That this would be a cost effective reason
4 to go through this expensive process, for all of this?

5 DR. COOL: I will give you a short answer
6 and then we'll come, come back, back to the other one.
7 And first the bureaucratic answer, which is, the staff
8 hasn't made any decision or judgement on it. SO make
9 sure that my, my lawyer, he's nodding his head up and
10 down at me.

11 ICRP would suggest to you, and someone
12 earlier was describing it in a little more detail,
13 We're, some of the things that ICRP was saying was
14 that the limit has to represent in the end the
15 boundary of what they consider to be an acceptable or
16 an unacceptable area.

17 And they reached the conclusion that five
18 rem, every single year, would be an area that was
19 really not acceptable. And therefore, for long-term
20 exposure, lifetime exposures, where they believe the
21 acceptable range was on the order of 100 rem, with an
22 average worker lifetime, that it really needed to
23 average more like two rem per year or to respect that
24 lifetime average.

25 But recognizing that there could be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 variations, because it wasn't very sensitive in that
2 area, there could be fluctuations up and down, and
3 that's why they came to the recommendation that they
4 did, and I'm simplifying the discussion, of two rem
5 per year average, maximum of five in any year, such
6 that the expectation of a lifetime for a worker would
7 be not more than about 100 rem.

8 So, does the NRC staff agree, disagree
9 with that? We have that as a point of reference. We
10 have other international organizations that have
11 adopted this, many of whom unfortunately do not have
12 their own statement of considerations, which is the
13 typical expectation of what we have to do here.

14 So, you don't see some of that, but that's
15 the underlying basis that was used, the change in the
16 risk coefficient, a desire to provide an overall level
17 of lifetime protection of about 100 rem for an
18 individual, trying to make sure that it was not
19 inequitably distributed over a couple of years and
20 providing that sort of average with a bit of
21 flexibility.

22 Having said that, part of the reason that
23 you see the options here that we have are the
24 flexibility could take several different forms. Part
25 of what We're trying to help have you all understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with us, help us understand, is the implications of
2 various ways to express that.

3 And perhaps, as I think most of you are
4 suggesting, the limit, capital L, quotes around it, is
5 not the way you would have it done. Some of you have
6 suggested that there are other mechanisms and We're
7 going to explore that in detail tomorrow.

8 And I'm looking forward to that
9 discussion, but I don't want us to jump to that
10 discussion yet. So, a little bit of recap. Doesn't
11 exactly answer your question.

12 MR. BOYD: Oh, sorry. Mike Boyd, EPA. I
13 just wanted to address something I've heard several
14 times around the table, and in the room, that suggests
15 that there, the absence of a benefit from going to
16 five rem to two rem is because there's absence of
17 evidence of harm.

18 I will concede that there is no way,
19 because of the weakness of the epidemiological
20 studies, to resolve the dose response curve
21 conclusively at low doses. But you don't have to worry
22 about LNT, take LNT off the table, throw it out the
23 window.

24 For this discussion, We're talking about
25 doses where there's observable points on a dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response curve based on the Japanese cohorts, the
2 Russian cohorts, the uranium mining cohorts, numerous
3 medical cohorts. I think if you go with a risk of 5%
4 per sievert, even with a band of uncertainty, you have
5 to acknowledge that any reduction of dose, cumulative
6 dose, is going to have an inherent benefit.

7 MS. THISTLETHWAITE: Thank you. I was just
8 looking back at the, the number two and just wanted to
9 make sure that I have this straight so that if they,
10 if you're saying like the average of two per year, and
11 the five rem in any one year, so that would only leave
12 you five rem over the remaining four years, which
13 would far exceed the average of two, it would give you
14 to 1.25 per year, if you did a summation over that.

15 But I just wanted to, to say again, that I
16 don't, I don't think that We're saying that We're
17 putting our personnel at risk by continuing at the
18 five rem per year. I think the point is, that it
19 doesn't give any more benefit to the worker to go to
20 two rem per year, and then have the ethical question
21 of, are they wearing their badges or not, which leads
22 to a whole other realm.

23 I think that having the five rem per year,
24 continuing our safety work environment of wearing your
25 badges, making sure things are going, working with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ALARA to keep doses as low as possible, is where we
2 should remain in order to keep the medical licensees
3 functioning.

4 If not, I don't think it, you can compare
5 apples to apples with the medical licensees in the
6 U.S. compared to internationally, based on the number
7 of doses that are there. Plus they do a lot of bulk
8 doses instead of Unit doses. So there's a whole other
9 realm of things that are going on.

10 MR. HODGKINS: Yes, Pete.

11 MR. O'CONNELL: Pete O'Connell, DOE. In
12 response to Don's previous question, as far as
13 regulators, have we experienced a lot of input from
14 unions requesting a lower dose values? 2006, in our
15 notice of proposed rulemaking, and in the final Rule,
16 2007, and DOE's a pretty heavily unionized
17 organization, we didn't really get much feedback from
18 the union requesting that we lower the dose limits.

19 MR. HODGKINS: Thank you. Robert, did you
20 want to add something? No? Oh, in the back?

21 MR. GIANUTSOS: Phil Gianutsos with Energy
22 Solutions. I just want to make a, an observation. You
23 reference the, the end point really being a lifetime
24 limit rather than an, an, an annual limit.

25 Looking just at our facility, looking over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ten years of REIRS reports, which we don't send you,
2 by the way, we've seen, looking at the categories of
3 exposure, that the higher categories are, well, the
4 dose is inversely proportional to age.

5 As our workforce is progressing through
6 the facility, it's generally the incoming personnel,
7 the younger personnel, that are doing some of the more
8 difficult jobs. At 57, I can't imagine putting on an
9 airpack and doing some high rad entries like I did in
10 my twenties.

11 I'm sure it's the same for a lot of them,
12 they move through the facility, they move through the
13 system, or they move onto other activities. So,
14 effectively, you get the same endpoint. I'd encourage
15 you to look at the REIRS data and see if that holds up
16 for other facilities as well.

17 And if it's a lifetime dose that we're
18 really looking at, then let's look at it that way.
19 Not, not try to artificially constrain it. We'll deal
20 with that one later, too.

21 MR. HODGKINS: Okay, we'll take it from the
22 audience, then. Mic two? Say your name.

23 PARTICIPANT: Neil Coleman, I'm with the
24 ACRS staff. Just a couple of thoughts I'd offer. The
25 scientific evidence tells us that the, the value of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the limit is much less important than dose rate. Dose
2 rate is a key thing from the research that's been
3 done.

4 I wanted to also mention before we start
5 talking about ICRP as being a gold plated source of
6 scientific information, and I've not heard this
7 brought up in this meeting so far, look at where they
8 are going. Look at what they have telegraphed, they
9 are doing.

10 They have not imposed standards for these
11 yet, but they have described a desire to develop
12 standards for plants and animals, pine trees and
13 frogs. This is not risk informed, and a change, in my
14 personal opinion, from five rem to two rem is not risk
15 informed either. That's all.

16 MR. HODGKINS: Thank you. Okay, how about--
17 now, are we in any way, shape, or form, ready to take
18 any comments from the webinar participants, or are
19 there none? Willie, do you know if there are any, web
20 participants? They have no questions? Okay, good.
21 Anybody else, then? Yes, Ralph?

22 MR. ANDERSEN: Ralph Andersen, NEI. Picking
23 up on the last commenter's point, is there a part of
24 your outreach for stakeholder input aimed at getting
25 feedback regarding the ICRP direction in protection of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nonhuman species?

2 DR. COOL: We can certainly add that to the
3 list of things we touch on under other issues
4 tomorrow. It wasn't something that we had preprepared,
5 but I can certainly describe our understanding of
6 what's going on and we can have some discussion around
7 that. But let's just add that to the list tomorrow for
8 other issues.

9 MR. HODGKINS: Thank you. Any other points,
10 or, from the audience, yes?

11 PARTICIPANT: Hi, Steve Hand, University of
12 Maryland. My boss is supposed to be here, but she
13 isn't, but I, and I volunteered not to sit in her
14 spot, so. I guess I had a different question, sort of
15 altogether, and that was, if we're looking to move
16 from five to two, how do you think the general public
17 would perceive that?

18 In other words, if everything's kind of
19 okay now, maybe not okay now, from the public's
20 perspective, if we go to two, does that tell them
21 what's wrong? So, want to get your answer to that.

22 DR. COOL: That's an interesting question.
23 Let me hold up a mirror, because it's not so much what
24 I personally might think about it, but what some of
25 you would think about that question and perception

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from some of your stakeholders.

2 MS. THISTLETHWAITE: I think they'd say, my
3 God, what have you been exposing me to for the last
4 ten years.

5 MR. HODGKINS: Any other reactions? We have
6 one from the audience.

7 PARTICIPANT: Scott Davidson, with New
8 World Environmental. Just want to ask, what happens
9 with everything else that comes out as a pronouncement
10 of new risk? It could be Avandia, or, sorry, if you
11 manufacture it. It could be Vioxx.

12 It could be any of these things that are
13 pronounced as now being bad that once were good. How
14 does the public react to this? It's going to be the
15 same thing as it is for any industry with new
16 information about risk.

17 That's all it is. It's, it's new
18 information. People will assimilate it the same way
19 they do with all these other things that become new.
20 Some outrage, some shock, some lawsuits. You know, I
21 mean, you're seeing it--

22 Well, I'm not just saying, you know, you
23 get it all the time with these other things, but
24 there, the different is you get real evidence of harm.
25 You get people have heart attacks and die, you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other things that are manifested, you know, three
2 babies die or seven heart attacks with this arthritis
3 drug.

4 We don't see it, so there's no burden--you
5 know what I'm saying, there's no proof that's being
6 shown so it doesn't have the same merit, but there's
7 outrage and you'll have to deal with that just the
8 same.

9 MR. HODGKINS: Thank you. Any other
10 reaction to that statement, comment? Marketing people
11 who want to say something about that? All right, do we
12 have one person on the webinar, then, that would like
13 to comment?

14 DR. COOL: I think we need to take a moment
15 to have the webinar folks unmuted, because in fact I
16 think we can't hear them unless Kim does some magic
17 over in the corner. So, are they unmuted, now, Kim?
18 Okay, so now you can ask the question.

19 MR. HODGKINS: Okay, from our webinar
20 participants, is there a comment, question, concern
21 that you would like to voice?

22 PARTICIPANT: With regard to a statement
23 made by the PET guy this morning, you didn't take
24 questions after that from the webinar participants. So
25 I would like to make a comment about that, if I may.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 My name is Janet Westbrook, and it seems
2 to me, if the NRC wants to get people behind this
3 Initiative they may have to sweeten the pot. They may
4 have to offer a one time subsidy to companies like the
5 PET people or a one time tax break to other, largest
6 entities in order to get them to fund the switchover.
7 I suggest that, if money talks, maybe that's the way
8 you're gonna--moving.

9 MR. HODGKINS: Thank you. Is there another
10 participant?

11 PARTICIPANT: Hi, this is Cindy Bloom, and
12 we were also talking just now about the effect of
13 reducing the limit, and I think what we want to tell
14 people is that ICRP's goal is to assure that the
15 lifetime risk is kept low.

16 It's not that the risk in any one near is
17 significant from getting the exposed to the current
18 limits, it's just that you want to assure that over
19 the lifetime that those risks are low. And we also
20 have the opposite faction, that, that says that a lot,
21 I mean, that, hormesis is alive and well down at the
22 levels that we're talking about, so I think, it's a
23 matter of standardization more than it is risk that
24 we're trying to control, we're trying to standardize
25 the rules.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Thank you. We're having a
2 little difficulty hearing your comments in the
3 auditorium, and we're trying to adjust that. But if
4 there's anybody else on the webinar who would like to
5 be recorded with a question, if you would speak up
6 now?

7 Any other questions on the webinar? Okay.
8 If--

9 DR. COOL: If you would like to request--
10 sorry, Dan--for the individual who spoke first, from
11 the webinar, who I think was speaking on a
12 speakerphone, because we had a lot of echo here in the
13 room, I don't know whether you can take it off of
14 speakerphone, which might help us here.

15 But I would ask that in any case, that you
16 send us that information so that we can capture it,
17 because I have to admit it was very difficult for me
18 to try and follow your discussion. I believe you were
19 talking about some financial compensation or tax
20 incentives that would be necessary in order to enable
21 licensees to implement changes.

22 But I'm not sure that I completely
23 understood the thrust of your comment. Is it possible
24 for you to take it off of your speakerphone and give
25 us a brief synopsis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Hi, can you hear me?

2 MR. HODGKINS: We're trying to.

3 PARTICIPANT: Can you hear me?

4 MR. HODGKINS: That's better. Yes.

5 PARTICIPANT: Okay. Think I'm going to hold
6 the phone up to my ear for two hours straight instead
7 of listening to speakerphone. I didn't realize you
8 could not hear me. My name is Janet, and I just was
9 commenting on the fact that as we all know, titrating
10 the new--costly.

11 So, if you want to reduce resistance to
12 migrating to the new review, and I don't--educate the
13 migration, but let's just say, if NRC regards this as
14 a done deal, people will make up their minds to do
15 this.

16 Then, the NRC, the Government, could
17 motivate people by, as I mentioned, either giving a
18 direct subsidy in the case of, as the PET guy said,
19 the revenue limited companies, or by giving tax breaks
20 to entities like power plants.

21 This would be a one time thing. There
22 shouldn't be, say, alarm about setting precedents. So
23 that would, I guess, thank you.

24 DR. COOL: Okay, thank you. I would ask
25 that you email to us the comment because we're still,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the technology is failing us in terms of actually
2 really being able to understand exactly what you said.
3 So, if you could email us that material, that would
4 help us to get it into the record. Thank you.

5 PARTICIPANT: What is the email address?

6 MR. HODGKINS: It's 2:09. Do we want to go
7 on, take a break, and then go on to the third, or--

8 DR. COOL: I think I, with your permission,
9 there's a couple things that I want to check a little
10 bit on that people have, have asked. Because, now I'm
11 going to view my role as trying to make sure that what
12 we've captured on the record can help us to the extent
13 it can.

14 And the first thing I'd like to ask, at
15 several points this morning, several of you have
16 talked about how important it was for you as global
17 companies to have consistency with what you do here
18 and what you need to do other places and the
19 regulations that are in other places.

20 So if I take that as a data point, and
21 then I take the discussion where, that we've had here,
22 where the general view from folks as far as the limit
23 is concerned is, there's no need to change the limit,
24 as in, keep different from how other countries do it.

25 That would seem to introduce an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inconsistency, when you had said that consistency was
2 important to you. So my specific question, and I don't
3 know whether some of you can answer it now, or whether
4 you would like to go off and reflect and send it to
5 me, is, for your particular businesses, your
6 particular business activities, a difference in the
7 dose limit that you operate on here versus what you
8 may be operating with in another country, whether
9 you're working in Canada, whether you're over in
10 France or someplace else, whether you have individuals
11 who are coming in from other countries who are working
12 under the system here versus otherwise.

13 How does that consistency or lack of
14 consistency contribute either an issue in your
15 business, or any other impacts that are associated
16 with them? Because those two things just don't seem
17 to line up for me. Can you help me out on that?

18 PARTICIPANT: Mark Smith, with Sterigenics.
19 Since that was the one that I brought up, I thought I
20 should address it. And, it doesn't, schizophrenia kind
21 of helps, but it's not required to be able to have
22 this--the, the issue that we have, internationally, is
23 not on the limit, because in all of our operations,
24 now I'm speaking strictly from my industry and not
25 necessarily for any others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But all of our doses are well below the
2 two rem. So, the limit for us is irrelevant. How the
3 dose is calculated is critically important because
4 we've got three different models we use in three
5 different countries, et cetera, et cetera.

6 That gives complications. As far as this
7 is concerned, that's just where I change the number
8 from red to black on my spreadsheet, that's just, put
9 a two instead of a five, and we never encounter that
10 so it's not an issue.

11 MR. HODGKINS: Okay. Let's start with the
12 panelists. Ralph, you were first.

13 MR. ANDERSEN: Ralph Andersen, NEI. Within
14 the nuclear energy sector, most specifically the
15 nuclear power plants, the limit is not so much the
16 issue, again, as the previous commenter stated, it's
17 the methodology.

18 Considering transport ability of equipment
19 and designs and so forth, like instrumentation, all,
20 ranging all the way up to reactor designs. The
21 differences in methodology are what require companies
22 to maintain two sets of analyses, one for the United
23 States and one for everybody else.

24 It's not the occupational dose limit. Now,
25 there might be a different discussion in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other acceptance criteria that are used that might
2 have to do with public dose, but that would be a
3 separate discussion.

4 But we're not, we don't see a conflict
5 between saying doses should be calculated the same and
6 reserving the right among countries to decide what the
7 particular dose limit would be employed in
8 occupational space.

9 MR. HODGKINS: Thank you.

10 DR. MAHESH: Mahadevappa Mahesh. Regarding
11 the, I'm speaking on behalf of the ACR, ACR to agree
12 that we need to go more towards in line with the
13 international limits. However, I also want to make a
14 strong point that, that, if, if the NRC go with the
15 two r, then there has to be a strict mandate of how
16 the fact is used for reporting or regulating radiation
17 by just for the international fluoroscopies is
18 uniformly done across all the state regulations.

19 That's one thing. Second thing is like,
20 regarding this two r, with respect to the medical
21 community, as we all know, the U.S. and the western
22 all the countries have the most highly utilized
23 diagnostic procedures and medical procedures.

24 And, there are a number of survey recently
25 done by the IAEA among the international cardiology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 groups across, in different countries. One of the
2 problems, some observed in these surveys was lot of
3 this country, they didn't have a uniform regulation
4 and monitoring policies for the cardiologists and
5 physicians.

6 So we don't have good data to show that
7 they're all complying with this, whether they're
8 having any difficulty with that two rem. The other
9 thing is also, some of these country has this
10 positioning of the monitor badges is also an issue.

11 Some of them mandate to wear underneath
12 the apron, in which case two rem for them is not a big
13 deal. Whereas here, we require to wear the badges
14 outside the apron in the medical community, and
15 utilizing that as a strict limitation will be a major
16 impact.

17 MR. HODGKINS: Thank you. Any other
18 reaction? Panelists? And all of you sitting out there
19 in the audience, you came here for a reason, we
20 haven't heard from--oh, sorry. Kate.

21 MS. ROUGHNAN: Sorry. Kate Roughnan, QSA
22 Global. We are a global company, and many of our
23 customers are, also, and I think the difference is, is
24 that the, the, the type of work that's done in the
25 United States is a much more, again, we tend to use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 higher activity sources because we have a higher
2 production level that needs to be met for the
3 radiography customers themselves, the, the, the
4 largest utilities and things like that.

5 In most of the other countries, they do
6 use lower activity sources, so they can get the dose
7 down, and again, just based on practices that we are
8 familiar with in the other countries, the regulators
9 are not quite as--I don't want to use the word harsh,
10 but they're not quite on top of the users as they are
11 in the United States.

12 If a user in the United States would
13 exceed the two rem, if it went to an annual limit,
14 there's typically very significant consequences. In
15 other countries, we don't see that as much. So that's
16 a big difference.

17 From a global perspective, we, we like the
18 consistency and the harmonization but from a practical
19 perspective it's just the practices are so different
20 in the, in the different countries, I don't know if it
21 can be actually applied.

22 MR. HODGKINS: Thank you. All right, come
23 on, audience members. You're here for a reason. You
24 didn't get invited necessarily to be around the table,
25 we're inviting you to be around the table

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 metaphorically.

2 Any comments? Questions? Concerns, before
3 we move on? Okay--

4 DR. COOL: If not, let me as a second
5 question, then, and unfortunately I'm going to pick a
6 little bit on Duann. And you can come back and tell
7 me, we can do this offline with, with, with more
8 detail. Because I have to admit that today is the
9 first time I have heard about significant numbers of
10 individuals in the PET area over two rem.

11 Now, that part of that, I suspect, is
12 simply because we don't have occupational exposure
13 information, so it's the first I've heard of it. Very
14 interesting, what I wanted to see if you could give me
15 just a little, give everyone a little bit more
16 information on was, which groups within that.

17 Because my very simplified understanding,
18 you've got the people who will run the cyclotron.
19 You've got the people who will take the targets and do
20 the extraction of the fluorine or whatever PET isotope
21 it is and do the compounding necessary to make the--
22 and I don't have the initials--FDG.

23 And then you have the techs who will
24 actually administer the material to the patient, and
25 you may have some new exposure to CT technologists who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have never before been working on positioning and
2 dealing with individuals headed into a CT Unit who had
3 an onboard dose.

4 Can you help me understand which or all or
5 some of those groups, just so that we all can have a
6 better understanding of where the real impacts are?

7 MS. THISTLETHWAITE: I'll try my best. I
8 was looking on my blackberry to see if I'd gotten some
9 of the hard numbers back, but I haven't gotten them
10 yet today, so I apologize for that.

11 DR. COOL: That's okay, we can follow up.

12 MS. THISTLETHWAITE: Some of this was
13 actually based on historical experiences that I've
14 had. We've done a lot with my current company to try
15 to bring down dose as much as possible. With the
16 personnel, as far as whole body dose, and then also,
17 what hasn't been brought up here was extremity dose.

18 So that's, I'll pose that question back
19 with, to you, and I'll try to answer this one. But,
20 with the international numbers coming down on whole
21 body and extremity, extremity next on the list. And so
22 the other thing is, on extremity dose for PET, we've
23 done a lot with extending the distance between our
24 personnel and the source of the radiation with hot
25 cells, manipulator arms, et cetera.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We haven't come up with a tungsten suit
2 that you can wear yet to go into the cyclotron area,
3 so even a little lead apron wouldn't do anything
4 except, you know, maybe hurt, hurt your back a little
5 bit.

6 But other than that, I think a lot of the
7 people who get the dose, there's a lot more on
8 cyclotron operators and such, but there's also on the
9 people who handle the doses, packing the doses,
10 getting those ready to go out.

11 The nuclear medicine technologists would
12 get a dose. There's a movement now, I won't use the
13 vendor, but of moving from Unit doses to carts with
14 more a multi dose vial that's going out, and saying
15 that they're decreasing doses, about 30% decrease in
16 dose by using that apparatus.

17 But you still have to feed the tubing
18 through and that sort of thing. SO, I think that it's
19 probably, the short answer kuh is, it's across the
20 Board to all the representatives of, in PET that are
21 working with it, from the cyclotron operator to the
22 chemist to the pharmacist, to the nuclear medicine
23 technologist.

24 Again, I can probably get the numbers from
25 you--it's not that everybody is at four and a half

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rem, I don't want to make it seem that way. But there
2 are a lot of people that are over two rem, and if, if
3 you went to the two rem per year, we don't have
4 instances where you can do a planned special exposure,
5 you know, as it's happening, so to speak.

6 So, as you're having to go in and, if a
7 line comes loose on a cyclotron and fix that in order
8 to get things going for the 100 patients that you have
9 that day. You wouldn't have that opportunity.

10 Those are rarities, we try to keep it with
11 our preventative maintenance plans, and such, that are
12 there to keep those down, and when cyclotrons, you had
13 asked the question earlier, about, do you go in when
14 the cyclotron is running. No we don't go in when the
15 cyclotron is running--

16 DR. COOL: Well, that's good.

17 MS. THISTLETHWAITE: --the cyclotrons, a
18 lot of them are self shielded, but some of them are
19 not, so there's a maze that would be there to keep
20 that dose down. So there are ALARA concepts that are
21 in place. I'm just fearful that bringing it down to,
22 you know, less than half of what it is now, to me,
23 it's just kind of cherry picking an international
24 regulation and saying, yes, we want to go with this.

25 There's lots of international regulations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and things that we don't follow in the United States
2 and just because they're doing this across the pond
3 doesn't make it the absolute, it's, somebody said, the
4 gold standard there. So, I don't see us all running
5 out to get euros in our wallets, so I don't think that
6 this necessarily would have to go with that because
7 it's an international.

8 DR. COOL: Thank you. That, that, that is
9 helpful and I would very much invite you to follow up
10 with us afterwards when, if some of your colleagues
11 can, can come through in the meeting, after the
12 meeting, and that's perfectly fine. That's part of the
13 reason that we've extended the comment period, so that
14 you can go back and gather some information.

15 I want to come back to the extremity dose
16 in just a minute, but--

17 DR. MAHESH: One quick comment, one quick
18 comment to this one. It will be very interesting to
19 see how the ICRP will approach in few years from now
20 when the global utilization of medical procedure
21 increases across Asia and everywhere, because recently
22 I was an international programmer as part of the IAEA
23 teaching interventional cardiologists in developing
24 countries.

25 And I was astonished to see the number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interventional procedures increasing at exploding in
2 Asia, especially Asia and china and India and Vietnam
3 and other places. And now there, the regulators are
4 having lot of trouble because lot of these places,
5 private companies are doing these things, which
6 regulators do not have so much stronger connection
7 yet.

8 So, it will be very interesting to see how
9 the ICRP looks in a few years from now, because when
10 they really get some more data and more and more
11 procedures are done in the medical community.

12 DR. COOL: It will indeed. I'd like to come
13 back because Duann asked a question about extremity,
14 which actually, with your permission, leads me to the
15 third question that I was going to--

16 MR. HODGKINS: There was some reaction over
17 here, though. Cheryl?

18 DR. COOL: I, I, I apologize. Cheryl?

19 MS. BEEGLE: It's okay. To go on with what
20 Duann was saying, you would think that the highest
21 exposures would occur in the cyclotron area, when
22 you're talking about PET imaging, and not to say that
23 they don't, or in the pharmacy areas that are
24 preparing the chemistry and performing the chemistry
25 to get to the FDG dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But from a technologist standpoint, there
2 isn't a tungsten suit for a technologist. And as I
3 tell my technologists, and when I've taught about this
4 across the country, you do not hug your patients. You
5 talk to them before you administer the dose and you
6 get out of the way.

7 Because there's no tungsten shield you can
8 put upon the patient, who then becomes a source in and
9 of themselves, totally unshielded. So, depending upon
10 your demographic of patients that you might be dealing
11 with in the medical community, if there are more
12 infirmed as opposed to say an outpatient population,
13 you may have to spend more time with them in order to
14 accomplish the imaging study.

15 You get a tremendous amount of exposure
16 during the course of the imaging site if you have to
17 be with that individual. There are zones, as all you
18 health physicists know around the equipment that are
19 safer than other areas to be in, in order to protect
20 yourself if you have to be near the patient.

21 But it's, it's critical to realize that
22 even though we're the furthest removed from the
23 cyclotron, we also get a tremendous amount of
24 exposure. Also, if, if you're in a, a demographic area
25 where you're either just starting up PET or you're new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to PET and that, you have one dedicated tech who is
2 maybe going in and out of the hot lab and getting the
3 dose, maybe they don't have a centralized
4 radiopharmacy or a radiopharmacist dispensing.

5 They're getting the dose, they're
6 administering the dose, they're performing the study.
7 As they build that practice up from doing one patient
8 a day to eight or ten or twenty a day, until they get
9 other staff on site who are trained, their exposures
10 are, can be, as high as three times what they would
11 get doing basic nuclear medicine imaging.

12 Their extremities exposures are huge
13 because of their hand contact, and as much as you want
14 to put everything inside of a tungsten shield, you
15 cannot shield everything. So. It's a, it's a
16 consideration.

17 DR. COOL: Thank you. Okay, if I can then
18 come back briefly to the extremity dose issue. I'm
19 sorry?

20 MR. MATTMULLER: Hi, Steve Mattmuller. If I
21 could jump in a little bit before we get there. Just
22 to help clarify on the cyclotron issues, this is a
23 high energy particle physics machine that we use to
24 produce radioactive material.

25 And, several years before I got involved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in this, there were popular bumper stickers that, for
2 public meetings, that stuff happens. And I always
3 thought that was rude and crude until I got involved
4 with the cyclotron, and believe me, stuff happens.

5 And when it happens, you have to fix it
6 right then and there, and so there's, I know, there's
7 like, planned special exposures. Well, this is like an
8 emergency exposure and there, and there's no way
9 regulation could be ever developed to handle a
10 situation like this.

11 And, and sometimes it, if you're lucky,
12 it's solved within a few hours, and sometimes it goes
13 for two, three, four days, depending on if you have to
14 get parts. Another issue involves our research
15 protocols.

16 For FDG, or, to back up a bit, we operate
17 the cyclotron to produce the radioactive material.
18 It's then, our targets are bombarded to produce, and
19 they are unloaded automatically, so we don't have any
20 physical involvement with the target. And it delivers
21 the fluoride to our automated synthesis boxes that
22 carry out the synthesis of converting the fluoride to
23 FDG.

24 But when you get involved with research, a
25 lot of that involves manual chemistry, as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're working in a hot cell and the target gets
2 unloaded to vial A and you pick it up with
3 manipulators, hopefully, and put it on a hot plate and
4 add a compound.

5 And, and do basic chemistry with it in
6 that regard. And there isn't an automated synthesis
7 system that you can rely on behind four inches of
8 lead. So, the limits can seriously effect our research
9 capabilities in that the research chemists typically
10 get a lot more because of the manual chemistry they
11 have to do.

12 And, and the third point is in regards to
13 our technologists, in that over the years, we have
14 seen the severity of our patients increase, or their,
15 their wellness decrease, I should say. And so, our
16 patients are getting, are taking longer to handle, as
17 far as positioning on the gantry before their study is
18 started, or even just--it's requiring more
19 technologist time with the patient to get the study
20 done.

21 And, and so that is increasing. We're, the
22 exposure to our, to our technologists in the imaging
23 suite. Thank you.

24 MR. HODGKINS: Any more? Any other
25 comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Briefly then, for the third,
2 third question, extremities. My understanding of the
3 ICRP's recommendation is that they didn't change the
4 recommendations for extremities, which in fact means
5 that at the moment the NRC requirements and the
6 international requirements align in that area.

7 So, that's perhaps helpful in a
8 reflection. But it brings up a different issue, which
9 our interventionalists probably are aware of, but
10 which I wanted to let everyone be aware of and at
11 least reflect on a bit, that, which is the eye dose
12 limit.

13 Because the ICRP is now in the process, as
14 are some others, of looking at the values for limit
15 for the eye dose. Because there is a considerable body
16 of evidence as I understand it that suggests that
17 those effects occur at much lower levels than
18 previously thought, and that the effect may be more of
19 a stochastic induction of opacity than a deterministic
20 cataract or no cataract issue.

21 So while there are no new ICRP
22 recommendations at this moment, I think it can be
23 anticipated that there may be some, during this coming
24 year. In fact, it may be that the ICRP, whose main
25 Commission is meeting this week, will have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations.

2 And so I want to alert you to that
3 discussion because that may also have some impacts for
4 certain kinds of uses where there is a potential for a
5 significant eye dose component.

6 And I would let anybody reflect on that if
7 they wanted to but I can't provide any more specifics
8 because I don't have them and I don't think Vince or
9 any of the other folks that I've, we've got here have
10 more detailed information.

11 PARTICIPANT: Good afternoon. Vince
12 Holahan. I'm from NRC. What Don is bringing up is over
13 about the last four or five years, the scientific
14 community has been looking at cataracts. Primarily,
15 among Hiroshima and Nagasaki as well as the
16 liquidators from Chernobyl.

17 And, the information that is coming out is
18 that the threshold for this deterministic effect is
19 something other than two or three sievert, that it
20 might be something on the order of about maybe half a
21 sievert.

22 Based on that, the international Committee
23 is looking at some of the science, and the question is
24 going to be, should they change the recommendations,
25 and if such, we would then be looking at our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lenticular dose limit and maybe reducing that down to
2 something like five rem a year.

3 As Don had mentioned, ICRP should have
4 something out at the end of the year. Chris Clement
5 mentioned something that, along that lines to us
6 several months ago. Chris is the Secretary for ICRP,
7 so hopefully we'll have some additional information in
8 the next couple of months.

9 MR. HODGKINS: Thank you. All right, any
10 other comments, concerns, questions, reactions? From
11 the audience? From the panelists? So we're ready to
12 move on. We're ready to move onto a fifteen minute
13 break. You had a practice at what fifteen minutes was
14 this morning, let's see if the practice helped you at
15 all refine your game. So we'll take a fifteen minute
16 break and be back in at 2:45. Thank you very much.

17 (Whereupon, the above entitled matter
18 under investigation went off the record at 2:32 p.m.
19 and returned at 2:46 p.m.)

20 MR. HODGKINS: Okay. We'll start with the
21 next dose to special populations discussion, and then
22 we'll open it up to the panelists. You ready to go,
23 Don?

24 DR. COOL: Okay. Welcome back, everyone.
25 And, let me first say thank you for the wide ranging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion that we had on the limits, it was very
2 useful. I think we will have some similar interesting
3 discussions in this last block of the afternoon on
4 special populations.

5 So, what do I mean by special populations?
6 There is actually two different things that I want to
7 briefly sort of set up in this discussion, and then
8 we'll see how people want to discuss it.

9 The first one is the dose to the embryo
10 fetus declared pregnant woman. So, we are again in the
11 occupational exposure area. As you know, the part
12 twenty regulations have a limit for the dose for the
13 embryo fetus, which is applied when the lady has
14 formally declared her pregnancy.

15 Now, we are not going to get into a
16 discussion about the legal underpinnings. There is a
17 very carefully established case law, happened long
18 ago, about the voluntary nature of the declaration and
19 when these limits apply.

20 And, we are not suggesting from NRC staff
21 perspective that we're going to go back and ask
22 anybody to reconsider that court and case law, which
23 is much larger than the radiation protection area.

24 But given that constraint, if you will,
25 that boundary, the discussion really comes down to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question, again, of what kind of limit might be
2 applied. The NRC requirements today, 500 millirem,
3 five millisievert, over the gestation period.

4 If the individual declares her pregnancy,
5 then you have to go back and assess the dose that has
6 already been received from an estimated date of
7 conception, and control the exposure so as not to
8 exceed the limit during the remaining gestation
9 period.

10 An additional proviso of a fifty millirem
11 value if you're in a circumstance where the individual
12 may in fact have already gotten an exposure to the
13 embryo fetus that she's carrying that was already
14 greater than 500 millirem. So, that's the basic
15 regulation that we have in place today.

16 Now, the ICRP over time, and this is a
17 little bit more recent than the 1990 recommendations,
18 in fact. First they've had the general statement for a
19 fair while that protection should be roughly
20 equivalent, generally equivalent, to that provided to
21 a member of the public.

22 Meaning, translated roughly,
23 recommendation of about 100 millirem for an embryo
24 fetus. Now, the ICRP added just a bit of specificity
25 there, in attempt actually to simplify things, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 believe. Not speaking for them directly.

2 By saying that it should be 100 millirem
3 after the notification of pregnancy. Now, this sort of
4 makes the assumption, I think, that the individual has
5 notified relatively early on in the term of her
6 pregnancy.

7 We all know that might or might not be the
8 case. Now, the ICRP recommendations have been adopted
9 in at least some countries, but there is a much
10 greater variation and that which is out there right
11 now. I believe Canada is at 400 millirem, four
12 millisieverts, right now.

13 So there is more variation internationally
14 about what goes on there. The international basic
15 safety standards of the IAEA which are currently being
16 updated, would use the 100 millirem value, moving
17 forward.

18 So, in addition to that, you have a
19 broader question on public exposure. So I want to tee
20 up this, this second issue because you have the
21 general recommendation that the dose limit to the
22 members of the public should be 100 millirem. That is
23 what the NRC regulations also say today.

24 Now, there are provisions in both the ICRP
25 recommendations and the current NRC regulations that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 allow for an exception up to 500 millirem. In the
2 NRC's regulations, it's upon prior application
3 specific approval of the circumstance limited duration
4 over which that alternative limit might become
5 available.

6 ICRP has similar sorts of wording. Part of
7 the issue becomes, and looking back at the embryo
8 fetus recommendation and other things that ICRP has
9 said now that there is no caveat or restriction
10 associated with who might be that member of the
11 public.

12 In fact, ICRP has said a couple of times
13 that more sensitive individuals, the embryo fetus, a
14 nursing infant, so this might apply to a nursing
15 mother, young children, should generally not be
16 allowed to get this higher dose, or this exceptional
17 dose, over short circumstances, that would be more
18 acceptable for an adult.

19 So, the options that we would like to talk
20 about today, and these are in two parts, so first we
21 will talk about the embryo fetus for occupational
22 exposure. Again, there's always the first option,
23 which is we don't have to change anything.

24 And, as we have done this discussion,
25 there has been some, I don't want to really say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ambivalence toward it, but there hasn't been a clear
2 view that's been expressed to us from different groups
3 because there are in fact some pros and cons.

4 The current NRC regulation could in fact
5 be more restrictive in certain circumstances where the
6 individual chooses to declare later on in their
7 pregnancy because you have to back and assess the
8 dose. And if the individual waits until pretty late,
9 then the ICRP recommendation has some different
10 connotations.

11 If she declares early, it means there's
12 more protection provided, makes it more difficult for
13 a licensee to go back and demonstrate the compliance.
14 The second alternative is to go ahead and make the
15 Rule, what sounds simpler, and just say when she
16 declares, it's 100 millirem after the date of
17 declaration.

18 Very simple. You don't have to go back and
19 do any retrospective analysis or anything, so perhaps
20 a little bit simpler for an implement from that
21 standpoint. Or, there could be some other change,
22 recognizing that we currently allow a fifty millirem
23 value as an add on if the individual had already
24 received exposure.

25 There could be that, or some other value

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that could be used. And so the questions we want you
2 to think about when we go into this discussion,
3 significant impacts if we change that limit for the
4 embryo fetus, and particularly things related to
5 operational or other issues.

6 The anticipated implementation impacts on
7 the record keeping, record keeping and assessment with
8 the ICRP recommendation adoption. And one that we
9 heard several times, and I think people have alluded
10 to it once or twice in other discussions this morning,
11 which is the extent to which you have now gotten to a
12 point where the technology makes it difficult or
13 impossible to actually measure those sorts of
14 incremental dose rates that would allow you to
15 demonstrate compliance with the limits, so we're
16 looking for information on that.

17 And, this is another one of those places
18 where we don't have very much information about what's
19 actually going on out there and your experience with
20 individuals who have declared their pregnancy and
21 issues that you've had in implementing the current
22 Rule.

23 And I think perhaps, Dan, it would be
24 better if we discussed that before we came back to the
25 options for public exposure rather than getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 everyone confused.

2 MR. HODGKINS: Okay, terrific. So, this is
3 where our panelists take over the discussion. And
4 then, is there any reaction, information that anybody
5 around the table would like to share as far as the
6 options for embryo fetus? Yes, Pete?

7 MR. O'CONNELL: Peter O'Connell, Department
8 of Energy. I just give you an update of, I guess,
9 where DOE stands on this. Our regulations,
10 occupational radiation protection for the embryo fetus
11 of the declared pregnant worker, they're a little
12 different than NRC's current regulations.

13 We had the declaration in writing of, of
14 declared pregnancy. We use the 500 millirem for the
15 gestation period. But we also have a provision in
16 there to uniform dose rate over the entire pregnancy,
17 so. That was in consideration that there are certain
18 periods in a pregnancy where the embryo fetus is more
19 radiosensitive.

20 So, to avoid putting to much exposure
21 during that time period, we have a requirement for a
22 uniform dose rate over the pregnancy, after the
23 declaration. And we don't have the fifty millirem. If
24 they've already exceeded the 500 millirem.

25 What we have is, they have to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reassigned another job where additional exposure is
2 unlikely. And we do have, what, the radiation exposure
3 monitoring system, where we do have pretty detailed
4 information on numbers of declared pregnant workers
5 and what their exposure rates were, dose rates were,
6 over time.

7 I asked them for some information a couple
8 of weeks ago, they said in the last five or six years,
9 we've had in the neighborhood of fifty to sixty
10 declared pregnant workers. And they sent me a summary
11 of their exposures, and they had, two of those
12 individuals had doses of over 100 millirem over that
13 time period.

14 MR. HODGKINS: Thank you. Panelists? Mr.
15 Hickman?

16 MR. HICKMAN: Erskine Hickman, United
17 States Enrichment Corporation. As Frank Congel
18 mentioned this morning, you know, some of us were
19 involved in the new part twenty revisions years ago,
20 and one of the things that I specifically remembered
21 was that we were trying our best not to limit the
22 employability of people.

23 The subject here is a special populations,
24 special populations being health physics technicians.
25 Through the years, my staff has become--I hire a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 percentage of female technicians. Obviously the health
2 physics technicians are one of the groups that get
3 most of the exposure.

4 And if we change to option 3B there,
5 limiting the, the dose to 100 millirem, that would
6 impact some of the female health physics technicians.
7 We would have to make some arrangements there to
8 accommodate that.

9 MR. HODGKINS: Thank you. Duann?

10 MS. THISTLETHWAITE: Duann Thistlethwaite.
11 I just wanted to add on to that. We actually are a
12 special population as well, we female nuclear
13 pharmacist. A female pharmacist, to be more precise,
14 because when I was in pharmacy school, it was about
15 sixty forty, or sixty five thirty five, and now it's
16 about seventy five twenty five as far as female to
17 male pharmacists go.

18 So, we're taking over in that realm. But
19 in that, we have worked, the whole time I've been in
20 nuclear pharmacy, under the 500 millirem per year, and
21 with extra ALARA considerations there. It seems to, to
22 work. There's also internal policies, in all my
23 experiences, that limit the duties of the worker as
24 it's going on.

25 Not lifting over a certain amount, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing more hazardous duty like iodine capsule
2 preparation, and that sort of thing. Staying away from
3 those, especially in the first trimester.

4 So I feel that the 500 millirem meets that
5 and actually going to what the member of the public
6 would be, would be overreaching, because that would be
7 just a general member of the public, you know, walking
8 by the outside of the facility or something, not
9 inside.

10 Even if you're pulled from some duties,
11 the chance of you experiencing certain dose rates
12 inside in the unrestricted area or the restricted
13 area, that would mean you'd have be in the
14 unrestricted area for the entire time, which could put
15 a burden on the staff if you had all declared pregnant
16 workers in one facility with, you know, 75% of your
17 staff being female.

18 MR. HODGKINS: Thank you. Any other
19 comment? Yes, Phillip.

20 MR. GIANUTSOS: We operate a couple of
21 facilities, and for, for the facility where external
22 gamma exposure is the primary consideration, it's
23 really not a problem. We do relocate or retask the
24 individuals.

25 The 500 millirem limit is never even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remotely approached. For our uranium fabrication
2 facility, however, that, that's a little more
3 difficult with bioassay frequency and so on. We found
4 that it's just easier to completely relocate them, so
5 they're outside the restricted area, working in,
6 completely retasked for that type of facility. I'm
7 sure it's the same for, for other uranium.

8 MR. HODGKINS: Anyone else from the panel?
9 Yes, Kevin?

10 MR. BUNDY: Yes, Kevin Bundy. I just maybe
11 try to give, explain the logic of how we got to the
12 400 millirem. We originally came out with just shortly
13 after ICRP 60 was released, we came out with a
14 proposal to drop the pregnant dose worker limit to two
15 millisieverts, or 200 millirem.

16 That was based on what I would consider
17 maybe a misinterpretation of the ICRP at the time,
18 where we saw it as one millisievert from internal and
19 one millisievert as external, but the draft was the
20 regulation at the time that's what they came up with
21 two.

22 We went through a consultation process on
23 that and we found large opposition to that number from
24 actually women in the workforce. They felt they would
25 be discriminated against because at that time it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be difficult to measure the dose at that level and
2 guarantee that they did not exceed that level.

3 So they thought they might, so they were
4 worried that they might not even be hired for the
5 positions. So in that case we decided to double that
6 dose from two to four millisieverts, or 400 millirem
7 and that's where it's been since then.

8 We've also had a, we, our provinces and
9 our Federal agencies have also since adopted that 400
10 millirem limit for pregnant workers.

11 DR. COOL: Kevin, if I could follow up on
12 that. Is CNSC considering any changes to that right
13 now, in light of ICRP 103?

14 MR. BUNDY: No, not at all, not at this
15 time.

16 MR. HODGKINS: Okay. Any other panelists?
17 Representing any other point of view on the panel?
18 Yes, Michael?

19 MR. STAFFORD: Mike Stafford, ORNL. Right
20 now, HP technicians, it's a very competitive market.
21 And I know a lot of places like us, when we make
22 decisions about promoting someone say from a junior
23 technician to a senior technician, you know, we follow
24 the ANSE Guidelines on that.

25 And it's very specific in terms of years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of experience. And if you take someone out of their
2 job for a particular amount of time due to a
3 pregnancy, then you could jeopardize their opportunity
4 for advancement, and lowering the dose standard
5 actually jeopardizes that to the worker. So there's
6 unintended consequences to he, to the female workers.

7 MR. HODGKINS: Okay. Thank you. Panelists?
8 Yes.

9 MR. MATTMULLER: Hi, Steve Mattmuller. I
10 guess, we've heard a lot about what the consequences
11 will be if you did lower it, and I agree there would
12 be some, would be consequences for the female staff
13 members.

14 But I guess I want to back up to why,
15 because I struggle with the ICRP recommendation of 100
16 millirem and maybe the health physicists in this group
17 can help me out here, but wouldn't that not be
18 equivalent, that if you had a, I mean, is this not the
19 same, if you lived in Miami, and then decided to
20 relocate to the Denver, Colorado area that your
21 natural background radiation would go up by about 100
22 millirems, or close to it?

23 And, so I struggle with this low, low
24 number. I think it's, I think they've drawn the line
25 in the sand far too low where it's, it's become an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 arbitrary number just because of natural background
2 variations just within the U.S.

3 And I know, overseas in areas of India and
4 Iran, there are areas much, much greater than this,
5 actually, in rems, versus 100 millirems. That, this
6 just really seems to be completely arbitrary and, and
7 substantial consequences of trying to actually measure
8 it and monitor it and regulate it.

9 MR. HODGKINS: Okay. Any reaction to that?
10 Kate?

11 MS. ROUGHNAN: Kate Roughnan, QSA Global.
12 To go down to the 100 millirem for declared pregnant
13 woman, she has been trained in radiation safety, she
14 understands the risk, whereas the general public, who
15 has a limit of 100 millirem, has not had that same
16 training.

17 So, she's making decision to proceed
18 knowing what she knows and based on the training from
19 the licensee to go ahead and exceed 100 millirem, up
20 to 500 millirem, whatever the regulation is, and
21 that's a decision, she's probably comfortable with
22 that.

23 MR. HODGKINS: Thank you. Kate, that
24 clarification. Okay, anybody else from the panel
25 interested in commenting? Okay, we then move to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 audience, as far as some comments from the audience
2 regarding this particular question.

3 Is there anybody from the audience? Is
4 there anybody from the webinar that would be
5 interested in commenting at this point? You'll have to
6 take your phone off mute.

7 DR. COOL: Do we have to unmute them here?
8 I don't see Kim actually at the moment.

9 MR. HODGKINS: Okay. So let's go back to
10 the audience before we get to the webinar
11 participants. No reaction from the audience? Oh, there
12 we go. Thank you.

13 PARTICIPANT: Just one brief note. In ten
14 years, we've had one DPW above 100 millirem, and
15 largely the others have managed to transfer to non-rad
16 jobs, typically because this was of planned
17 pregnancies. That's it.

18 MR. HODGKINS: Okay. Thank you. Any other
19 comment from the audience? Yes. Oh, Stephen, you're
20 not the audience, you're the panel. From our
21 panelists?

22 MR. BROWNE: Well, sort of an observation
23 just that in, in, the ICRP reduced the, their
24 occupational limits from the five to the two,
25 effectively, but here, it was just a factor of two and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a half.

2 Here, they've gone down percentage wise
3 much further, so it seems more of a philosophical
4 basis for saying that the embryo fetus should be
5 treated as a member of the public, as opposed to
6 reducing the limit based on risk, and I'm wondering
7 if, you know, that's really justified on a risk
8 informed basis, which is what our, I think the goal of
9 the NRC is to have risk informed regulations.

10 MR. HODGKINS: Comments? Reactions? Ideas?
11 From the--yes, Pete?

12 MR. O'CONNELL: Pete O'Connell, DOE. And
13 just playing the devil's advocate, in response to
14 Steve, and Steve's comment, about how you're
15 significantly reducing exposures and now you're at
16 100.

17 I guess you should anticipate that you're
18 going to get caught in saying that you're increasing
19 the exposures, because of a, particularly pregnant
20 worker and they've already have 700 millirem, under
21 DOE, you wouldn't allow any extra exposure, under NRC
22 you'd be allowed fifty millirem. But now, you're
23 actually doubling that and allowing an extra 100
24 millirem exposure.

25 PARTICIPANT: You might want to take a look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at ICRP 84, issued after Chernobyl incident, because
2 of a massive number of abortions in Europe due to fear
3 of, well, Chernobyl. They're quite explicit in the
4 logic of the various doses and the increase in risk
5 with dose.

6 Very simple and straightforward charts.
7 It's also very handy in a DPW briefing. I highly
8 recommend it.

9 MR. HODGKINS: Any other reaction comment
10 from the panelists, from the audience? We do have one
11 person that wrote in from our webinar. Could, and I
12 can't read what this says. Landavose?

13 DR. COOL: Landauer, I think.

14 MR. HODGKINS: Landauer or own credit
15 dosimetry calibration laboratory provide information
16 about declared pregnant workers friends? And so that
17 comment has been duly noted and for sure I'll hand
18 this over because I didn't read it so well.

19 DR. COOL: We would invite in fact those of
20 you who may have some information in your particular
21 facilities or areas with a little bit of experience to
22 help us know.

23 One of the questions that we had was, what
24 are you seeing in your particular facility or areas?
25 How many individuals declare their pregnancy, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kind of doses they receive.

2 We had one a moment or two ago where we
3 talked about there being seventy eight or so
4 individuals, only two of which had even exceeded 100
5 millirem. It would be interesting to see, and I think
6 this was a sort of veiled request to see if the
7 dosimetry processors would be willing to give some
8 completely blinded information from dosimeters that
9 they receive with regards to what might be declared
10 pregnant female exposures.

11 MR. HODGKINS: Walt Lee?

12 MR. COX: One thing, the NRC should
13 probably consider, if we look back at the question
14 that was raised earlier about going from five to two,
15 for the occupational worker.

16 When we go, if we go from 500 to 100
17 millirem for the declared pregnant worker, are they
18 going to say, well, what's wrong? You know, I used to
19 be, be able to get 500 millirem so what are you
20 telling me, what are you telling all of those people
21 that you held to 500 millirem, and it's a very
22 sensitive issue when you bring in embryo fetus.

23 So, lot of lawsuits, I would imagine, or a
24 lot of questions as to why were we able to receive 500
25 at one point and now it's down to 100 millirem? And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that, you know, what's, what's, what's wrong. So, just
2 consider that.

3 MR. HODGKINS: I think for the purposes of
4 this discussion though it is really the question why,
5 as we started this morning, as far as with all these
6 questions, but certainly some are more sensitive than
7 others. Yes? Larry?

8 MR. HAYNES: Just some perspective. When we
9 first started talking about this, I looked at our
10 utility for the number of declared workers and there
11 were, there were a handful. And, it's fairly easily,
12 easy to manage when you've got just a few female
13 technicians and with the aging workforce issue it's
14 not been as big a issue in the past.

15 We can, we can accommodate by moving folks
16 to lower dose type jobs. If we do go to 100 millirem,
17 and as we replace our aging workforce with young
18 workforce and, and nuclear utilities are similar to
19 what I heard from the pharmaceuticals, there's more
20 and more women in that, in those work positions.

21 It becomes more difficult to accommodate
22 moving folks around. You know, the, the issue
23 obviously resolves itself in about nine months, but
24 still you have to deal with, with that as, as you work
25 through it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, I, I can see it as standpoint of, you
2 could get through to a position where you had
3 difficulty staffing certain positions. Because of the
4 extra limitation of 100 millirem.

5 MR. HODGKINS: Okay. Audience? Did you want
6 to say something, back in the corner?

7 PARTICIPANT: You're talking about four--
8 sorry. You're talking about 4% of the working lifetime
9 or something like that, if a woman has--

10 MR. HODGKINS: Can you use the mic?

11 PARTICIPANT: Sorry. Scott Davis. And if
12 you have, a woman has two children, that's two years
13 out of a working lifetime. Not, not to say that it's
14 not important to protect the embryo fetus, but we're
15 talking about a very low portion, and we're comparing
16 it to a public dose limit where public limits are for
17 populations with thousands or hundreds of thousands of
18 people.

19 We're talking about a true special cohort
20 where, again, the, you know, the mother chooses to
21 elect the protection. How many of these embryo fetuses
22 do we have unrecorded doses on because they chose not
23 to declare? Probably many, probably just as many as
24 those who declare.

25 So, it's a, it's, you know, I, I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tihnk, I don't think it really warrants any additional
2 thing, personally. I think it's a personal decision
3 for the woman, and I don't think you can compare the
4 individual to the population dose limit for the reason
5 of being, tens of thousands versus not that many.

6 You know, and I'm saying, a facility has a
7 public dose limit that impacts a population. That's,
8 that's the 100 millirem, that's what I'm talking
9 about.

10 MR. HODGKINS: Thank you. Appreciate it.
11 Anybody else from the audience? Are we ready to move
12 on?

13 DR. COOL: So, if I could offer a
14 reflection, just for a moment, I think what I'm
15 hearing many of you suggest is that you don't quite
16 agree with what I think was the ICRP's premise, that
17 the embryo fetus distinct from the mother should be
18 provided protection as any other member of the public.

19 And instead, you're looking at this more
20 strictly form the standpoint of the mother as an
21 occupational individual with choices and therefore
22 selecting a higher value. Is that the logic that
23 you're can--I'm seeing several noddings of heads.

24 But I think it's important to try and
25 differentiate the basis for protection of someone, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I've now forgotten who it was, asked the question, is
2 the basis for the protection, protection of a member
3 of the public, or is the basis of protection some
4 selected value in occupational exposure where the
5 premise of training and risk assumption takes hold?

6 I'm seeing nodding of heads, that that's
7 the view that you're taking. Recognizing what ICRP
8 said. Kate?

9 MS. ROUGHNAN: Kate Roughnan, QSA Global. I
10 would agree with you. I think it's again, the
11 occupationally exposed woman has had the training and
12 the risk information and she can make that decision,
13 as she does in other decisions in, in bearing a child.

14 DR. COOL: Pete.

15 MR. O'CONNELL: Pete O'Connell, DOE. I
16 thought more in line that the argument was more that
17 similar to the five rem versus the two rem, that 500
18 millirem for entire gestation versus 100 millirem
19 after the declaration, can you scientifically show
20 that, you know, one is more protective than the other?

21 MR. HODGKINS: Thank you. Microphone.

22 PARTICIPANT: Roger Pedersen, NRC. I'd like
23 to add to Don's wrap up a little bit. I believe I
24 heard at least an implication that a lower dose limit
25 for the embryo fetus might actually be less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protective, and that declared pregnant woman may delay
2 the declaration or maybe even not declare at all,
3 because of a fear of being too restrictive at a lower
4 dose.

5 I didn't hear those words exactly, but I
6 thought I heard that kind of as a thread through some
7 of the comments, so we need to capture that as a
8 comment, as well.

9 DR. COOL: And, just for the record,
10 because the transcript can't see the nodding of heads,
11 there were, again, several nodding of heads in the up
12 and down direction. Have to quantify this.

13 MR. HODGKINS: Any other comment, then,
14 from the panelists? From the audience? Not stepping up
15 to the microphone. Okay, are we ready to move on?

16 DR. COOL: So, if we could wrap that up,
17 then, let me encourage you that if you have some
18 information available on number of individuals, kinds
19 of exposures being seen under these current limits and
20 could provide that to us after the fact to help us
21 develop the basis, that would be very very useful.

22 So, let's go on to the second subject,
23 which is the options for whether or not there should
24 be any changes for the public exposure limits
25 themselves. Starting from the standpoint that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basic public dose limit is 100 millirem, the NRC
2 requirements are the same as the international
3 recommendations, the same as the international basic
4 safety standards.

5 So, there's a consistency at that point,
6 but recognizing that we have a provision that would
7 allow for a greater dose under certain limited
8 circumstances, and the question really becomes, given
9 the ICRP's recommendations that children, the embryo
10 fetus, should be provided protection and should not be
11 allowed to receive doses greater than 100 millirem,
12 should the NRC consider restricting the application of
13 this exception to adults, in some manner?

14 And there are of course several possible
15 options. We don't have to do anything. The regulation
16 as we have it today is available only upon application
17 to the NRC and specific approval in advance, and quite
18 frankly, I don't know of anyone who has ever actually
19 asked for that.

20 We could change the applicability in the
21 regulation to say that it can only be applied when
22 sensitive populations are not the individuals who
23 would be most likely to be receiving the exposure.

24 Or, and this is a little bit different
25 option than some of the other ones, we could say that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we recognize that this issue is out there, but since
2 this is only available upon application, there could
3 be additional guidance that is brought forward about
4 when this would be considered and what arguments would
5 need to be made in order for there to be a
6 consideration of approval.

7 And I will note this for background
8 because I'm sure some of the medical people will bring
9 it up. The corollary to this is of course patient
10 release, and the doses received by individuals as a
11 result of medical exposure and a patient exposing
12 someone else.

13 In which case, the requirements in our
14 medical regulations do allow for an amount of exposure
15 from an individual who's received radioactive
16 material, the iodines are the ones that usually
17 deliver the most.

18 There has to be specific instructions and
19 information provided if that exposure is going to be
20 over 100 millirem. It's not allowed to go over 500
21 millirem, and in fact, there is specific additional
22 guidance that additional efforts have to be made to
23 reduce the exposure if young children are present in
24 the home, and therefore the individuals most likely to
25 be exposed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, there is that bit to a model which is
2 already in place. And so, I open this up, Dan, for
3 discussions of possibilities, whether this is
4 something that the agency needs to consider, whether
5 this is something that the agency doesn't need to
6 consider, and why.

7 MR. HODGKINS: And let's open it up to the
8 panelists first. Panelists, any reaction? Phillip.

9 MR. GIANUTSOS: Part of this issue is going
10 to depend on what you require of the licensee to
11 demonstrate compliance. If you have explicit occupancy
12 factors approved, that, that makes it one, one model.

13 There are other situations, for example,
14 one license I'm aware of has a 500 millirem per year
15 annual limit at the exterior of the facility, that has
16 an implicit 20% occupancy factor, but it is not laid
17 out in any, any detail.

18 If there is an operating facility within
19 an occupied building, it presents much more problems
20 of course than a facility located out in the, in a
21 more rural area, such as we're operating. That makes
22 it much more difficult. And, as far as nobody applying
23 for it, I'd, I'd suggest polling some of the agreement
24 states to determine if that's really the case. So.

25 MR. HODGKINS: Thank you. Anyone else from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the panel wishing to discuss this? Cheryl?

2 MS. BEEGLE: We've had some discussion at
3 various places I've worked where they wanted to keep
4 populations of patients separate from other
5 populations of patients based on their dosing with
6 radiopharmaceuticals, in particular, PET patients.

7 And yet, they can leave the Department and
8 go sit in the cafeteria and you can sit next to them
9 and there's no restriction. So, I agree, you have to
10 sort of have an idea about what is going to be asked
11 of the licensee to monitor this.

12 Because I hear everything from, oh, it's a
13 short lived isotope, it's going to go away in a matter
14 of minutes, to the fact that they bring their young
15 children and they're sitting on their lap, and
16 receiving all the bladder uptake.

17 So, you know, it's kind of all over the
18 place and I think it does need to be addressed because
19 the public exposure isn't something they're always
20 aware of, to even ask for the exception.

21 MR. HODGKINS: Thank you. Duann?

22 MS. THISTLETHWAITE: Yes. Duann
23 Thistlethwaite. I, I see this as more of an
24 educational opportunity for the NRC to educate the
25 public on the hazards of radiation exposure and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different levels that you can, you can get. Instead of
2 putting the burden on the licensee to prove that they
3 have not exposed the busload of children that drove by
4 the nuclear pharmacy that's in the shopping center.

5 So, I, I see it more of a, a demonstration
6 for sharing that public education of saying, these are
7 the risks of radiation exposure, if you, if you've
8 undergone these types of scans, this is the type of
9 exposure that you would get off, or give off as your
10 going about your business as you've been released from
11 the hospital, which, I think, I know that's another
12 thing with Senator Markey.

13 But as they continue to be released from
14 the hospital, so I think it's more just an opportunity
15 to educate rather than a regulatory Rule that needs to
16 be put in place.

17 MR. HODGKINS: Thank you. Michael?

18 MR. STAFFORD: You know, one thing that
19 I've noticed too is often, patients don't realize
20 they've been administered a radiopharmaceutical and
21 they'll, they'll come to the lab and you know, maybe
22 set off some kind of a monitor alarm and then start
23 backtracking.

24 And then, you know, they say well, yes, I
25 was given something called cardiolute or, you know, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something like that, and they didn't, you know, so
2 their doctor really didn't tell them that they had an
3 Administration that was going to, you know, have these
4 kind of implications. So, having that kind of
5 disclosure, you know, could help, you know, in a lot
6 of different directions.

7 MR. HODGKINS: Excellent. Anybody from over
8 on this side? Yes, Michael.

9 MR. BOYD: Mike Boyd, EPA. I just wanted to
10 make a comment about the, the issue of how you enforce
11 the, the current public dose limit. And I know just
12 for making it approachable, NRC has traditionally set
13 this as a facility limit, whereas the ICRP
14 recommendation is that it's the public dose limit from
15 all sources of exposure.

16 Now, if you enforce that limit as the dose
17 limit divided by, what, 8,760 hours to some levelized
18 chronic dose rate, you can't be two places at once, so
19 you're fine. But if you look at a scenario where
20 you're trying to assure that any member of the public
21 doesn't get a millisievert.

22 And you start factoring in, you know, the
23 odd person who drives behind the low-level waste truck
24 all the way from New York to florida, and then, you
25 know, spends his life living next to a licensed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facility.

2 You begin to see the difficulties, from a
3 regulator's standpoint about understanding what you
4 mean by that, so I, I perfectly understand why it's in
5 the regulations as a facility limit, but I think it's
6 worth discussing, maybe what that means in terms of
7 enforcement.

8 MR. HODGKINS: Okay. Comments from the
9 panelists? Let's open it up to the audience. Anybody
10 want to respond then from the audience? We'll take it
11 a section at a time. No? Thinking of who you're
12 representing, any ideas, comments, concerns? Yes,
13 Kevin?

14 MR. BUNDY: I actually maybe ha da little
15 bit of help. We, we had the half a rem limit for
16 members of the public prior to the new regulations, so
17 we did drop it to one millisievert. And, as far as I
18 aware, we haven't had too many problems meeting that
19 for members of the public outside the facilities.

20 Where we do get issues is where that one,
21 we have a category for workers called nuclear energy
22 workers, and if you're expected to exceed the member
23 of the public as, at a nuclear facility, than you have
24 to be declared a nuclear energy worker, in which case
25 the occupational dose limits come into effect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 A lot of licensees, they don't want to
2 designate their workers as NEWs, they try to keep them
3 at the public, at the public dose limit, I can
4 occasionally get one of their workers will exceed that
5 one millisievert, and there's, then there has to be an
6 investigation on it.

7 And, and most of the time what they end up
8 doing is declaring the worker as a, as an NEW. But
9 that's still pretty rare, it doesn't happen too often.
10 Doses from facilities, we do require licensees to
11 derive, have derived release limits, which essentially
12 a, a modeling of the pathway from knowing what the
13 effluent is that comes out of the facility and
14 tracking that through the environment using, using a
15 standard procedure.

16 And, and based on that they can calculate
17 the either the real closest person, the closest
18 person to the facility or even a hypothetical person
19 sitting on the, on the, on the fence post.

20 And, using those procedures, the highest
21 doses we generally see are about 100 microsieveverts per
22 year, which is pretty, which is like one tenth, one
23 tenth of the limit. And even in that case, the reason
24 why it's that high is probably because they just very
25 conservative assumptions in doing that calculation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: So, to clarify and make sure
2 that the record is clear. For the Canadian regulations
3 now, you're limit for the members of the public is one
4 millisievert. Do you have a provision where they could
5 go tot five millisievert under certain circumstances,
6 or is there no other provisions, it's just the single
7 value?

8 MR. BUNDY: There is no, there is no
9 provision for that, as far as I'm aware and I can't
10 think of anything on it. But it, but so far, ten
11 years, it hasn't been an issue.

12 DR. COOL: Okay. And to look around the
13 room for people both on the panel and in the audience,
14 for your facilities and activities, has there ever
15 been a circumstance where you have needed to apply or
16 use a dose limit for a member of the public, anything
17 other than the 100 millirem, one millisievert level?
18 Let's keep patient release off the table for the
19 moment. I'm actually not seeing any, which is
20 interesting, an interesting piece of information.
21 Okay.

22 MR. HODGKINS: Pete?

23 MR. O'CONNELL: Pete O'Connell, DOE. I've,
24 it kind of leads into the question I was going to ask
25 you, Don, okay. DOE, we don't have the alternative 500

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 millirem to member of the public.

2 We just use the hundred, so do you have
3 any details on, you know, across the Board at NRC, how
4 often do you invoke that 500 millirem? And if, you
5 know, to do away with that, would that really impact a
6 lot of your licensees?

7 DR. COOL: Well that's actually an
8 interesting question, because what I think I'm seeing
9 is that there hasn't even been any use of that value.
10 So, in fact, one of the other things coming out of
11 this might be, well, NRC, no one's ever used it,
12 everyone's able to live comfortably within the limit
13 for members of the public, why continue to carry this
14 regulation. And I think that's going to get some
15 reaction.

16 MS. THISTLETHWAITE: This is just a point
17 of clarification. In my experiences, we've had the 100
18 millirem per year as the limit, but that's also at
19 times been a calculated number using occupancy factors
20 and things like that, so. We have had to calculate,
21 rather than just taking a straight reading off of an
22 exterior badge, so.

23 DR. COOL: Further comment?

24 MR. MATTMULLER: Hi. Steve Mattmuller
25 again. In the medical community for therapy of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 patients, this is a limit that comes into play in a
2 very, very big way for us.

3 And in fact, right now, We're getting
4 pushed back from, from certain individuals and groups
5 who think we're doing a terrible disservice by
6 allowing our patients to be released under these
7 limits now.

8 And, so, if there were to be any change
9 from a practical perspective of this being lowered, it
10 would severely effect our medical field in that
11 probably we'd have to keep all of our patients in the
12 hospital until they decayed the background, to be in
13 compliance with this.

14 And, and, and in, in our current situation
15 in dealing, or trying to deal with these individuals
16 who are pushing against us now, it's, it's, it's very
17 frustrating in that, they have no evidence as far as
18 this current level is harmful and that, and, and so,
19 it's like why do we have to go to a lower limit if
20 there's no evidence of harm now, which gets back to
21 the why.

22 And, and so, we would, this could shut us
23 down completely if, if this were to be, become the new
24 limit in the regulations.

25 MR. HODGKINS: Yes? Pete?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. O'CONNELL: It's just a followup
2 question. Now, Steve, are you saying that you're using
3 the 500 now, and lowering it to 100?

4 MR. MATTMULLER: We do use the 500. In
5 regards to how calculating release criteria for our
6 patients, get treated now with iodine 131, oral
7 solution or capsules of iodine. Their release is based
8 on if we give you this amount and if you behave this
9 way and do this then the exposure to someone will be
10 udner 500.

11 And, and, and then it goes on, and, well,
12 in addition to that it says if you could possibly give
13 anyone greater than 100 millirem then we have to give
14 you these written instructions to make sure you do
15 comply with this, yes.

16 So, we are fully aware and trying to
17 operate under this current limit now, and would like
18 to stay right there because we think it's very
19 manageable and we think it's very safe, first and
20 foremost, it's very safe.

21 But we are experiencing strong pushback
22 now from certain groups around the country now to even
23 become what we think is an irrational pushback to a
24 lower limit.

25 DR. COOL: Kevin?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUNDY: I guess maybe add to that the
2 Canadian regulations actually exempt patients with
3 radionuclides from the regulations so long as the
4 hospital does give them instructions on how to avoid
5 exposures to other members of the family and that.

6 The right now come into a problem with
7 veterinarians with giving injections to cats and of
8 course wanting to release them, which, quite, quite
9 haven't solved that issue yet.

10 DR. COOL: And I think perhaps we should
11 make sure that we're, we're clear here about how the
12 present NRC regulations are constructed. The release
13 of patients and the criteria that are associated with
14 that are separate from the basic requirements related
15 to public exposure.

16 The requirement in part twenty actually
17 says this limit except for, and one of the things that
18 is specific exception is the release of patients under
19 part 35, which is what Mr. Mattmuller was, was talking
20 about, was the criteria that are in party thirty five,
21 specific for release of patients administered
22 radioisotopes.

23 MR. HODGKINS: Did you want to say
24 something? Okay. Anybody else from the panel? From the
25 audience, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: Yes, my name's William Smith
2 with Southern Nuclear Company, and they have three
3 nuclear power sites and at one of the sites, they're
4 actually building a new plant that's been licensed
5 under the new process.

6 And the 100 millirem for public workers,
7 you know, that's easily met for the construction
8 workers at that site. But having that option for, you
9 know, being able to go to 500 millirem for some of the
10 other sites probably would be pretty important.

11 They may not have the same setup and
12 location that we have. So, leaving it the same would
13 be important for the generation of plants that are
14 being built now.

15 MR. HODGKINS: Okay. Anything else from our
16 audience? Michael.

17 MR. BOYD: Thank you. This is just a, a
18 personal comment. I think, I think most of us would
19 agree, or many of us, at least, that the, you know,
20 the five millisieverts is a pretty good number for
21 care givers and adult family members and, and maybe
22 even higher in special circumstances.

23 I guess, it's really not so much a
24 regulatory, a regulation itself issue, but it's the
25 kind of guidance you would issue around your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulations that might help prevent inadvertent
2 exposures.

3 I mean, I, I guess I worry about, or, or,
4 not really worry, but I, I could envision a case
5 where, you know, someone comes out of a hospital
6 following thyroid ablation, and sits down beside you
7 on the Metro and you have no idea of knowing you're
8 being irradiated for the whole length of the red line
9 or something.

10 So, there ought to just be some general
11 guidance that would take into account the inadvertent
12 exposures.

13 MR. HODGKINS: Okay. Anyone else from our
14 audience or panel regarding this aspect of our
15 discussion? Kate.

16 MS. ROUGHNAN: Kate Roughnan, QSA Global. I
17 think the 500 millirem was retained in the regs as an
18 option because some of the facilities were already in
19 place, and when they were designed and built, the
20 exposure to a member of the general public could
21 exceed the hundred millirem, and could go up to the
22 500 millirem.

23 So, I believe the 500 millirem was
24 retained so that existing facilities could still
25 comply with the regulations. So there may not been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exemptions given out, they may have just been
2 continued operations basically.

3 MR. HODGKINS: Duann?

4 MS. THISTLETHWAITE: Duann Thistlethwaite,
5 Triad Isotopes. There are things in place actually for
6 patients being released with radiopharmaceuticals to
7 say, I've undergone a scan, this has happened, because
8 several bridges and tunnels and things like that have
9 radiation monitors.

10 And so patients are given those type of
11 cards to take with them. It's not a letter that they
12 could wear on their shirt, but it is something that
13 they would take with them to say that they've
14 undergone a scan.

15 And if, if we have workers, actually, in
16 the nuclear medicine departments, we've have
17 instructions for them, if they've undergone a nuclear
18 medicine procedure to let us know back at headquarters
19 or at the sites that they've undergone those, because
20 we also have monitors going in and out of our
21 facilities so that they don't make those go off.

22 MR. HODGKINS: Thank you. Yes, Larry?

23 MR. HAYNES: Just along the same lines as
24 that, and just to comment. For nuclear power plants,
25 we operate under part fifty, Appendix I. And, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ALARA objectives are fractions of the, the limits.

2 So, it's typically is not an issue for
3 nuclear power plants, for effluents and exposure to
4 the public. The interesting thing though from a
5 radiopharmaceutical standpoint, is we have border
6 monitors as well, and a worker that would go have a
7 thallium 201 stress test, it'll take 45 days to two
8 months for that person to be able to clear our
9 monitors.

10 So, you'll never solve that. That's just,
11 it's going to be the issue. But there is an impact
12 from all the tests that are being, being done. Even
13 the tech-99 metastable work can take a few weeks.

14 MR. HODGKINS: Okay. WE'LL go ahead and
15 give you one more opportunity for any comment, or
16 we'll close this discussion. Anybody? Okay. We're
17 going to break for the day, but before that, let's
18 just do a little evaluation of the process.

19 Panelists, is this comfortable for you,
20 could we do anything different to make it a little bit
21 more comfortable, easier, any comments? Questions?
22 Concerns?

23 Audience? Okay. Any problems, concerns, as
24 far as the process? Does it make sense? Are you
25 comfortable? You'll be back tomorrow, right? Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have lots of work to do as far as the
2 webinar participants. We'll be working on that. Other
3 than that, I'm going to turn it back over to you then,
4 as far as some closing remarks.

5 DR. COOL: Okay. Thank you very much, I
6 very much appreciate the great discussions we've had
7 today. We've dug into the issues, we've answered at
8 least a few of the whys.

9 You all have the notebook now, which can
10 help reinforce what hopefully you read in the Federal
11 register and other information ahead of time. We all
12 know you all read the Federal Register religiously.

13 Okay. That's what I thought. Okay, but let
14 me encourage you tonight to reflect on the discussion
15 that we had today about the dose limits, because what
16 We're going to dig into tomorrow is the other half of
17 that, which a number of you alluded to, which is the
18 ALARA radiation protection component.

19 The use of planning values, what ICRP has
20 now termed constraints. Because I think in tomorrow's
21 discussion, we will revisit some of the things that we
22 talked about in limits and hopefully be able to engage
23 in a good discussion about some of the correlated
24 implications about how to construct a program.

25 I'd like you to think about that both from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the possibilities of how it would work in your
2 programs and the extent to which it could be argued
3 that it does or does not help international alignment,
4 and does or does not help increase or improve
5 protection.

6 Because as with everything else, there's
7 going to have to be an argument put in place, if
8 you're going to do something, that there is a basis
9 for it. And with that, thank you very much. I wish you
10 a very restful evening. Drive safely out on the D.C.
11 roads, and we'll see you tomorrow morning.

12 (Off the record.)

13

14

15

16

17

18

19

20

21

22

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701