

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
US-APWR Subcommittee: Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, January 15, 2013

Work Order No.: NRC-3033

Pages 1-95

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 + + + + +

7 US-APWR SUBCOMMITTEE

8 OPEN SESSION

9 + + + + +

10 TUESDAY

11 JANUARY 15, 2013

12 + + + + +

13 ROCKVILLE, MARYLAND

14 The Subcommittee met at the Nuclear
15 Regulatory Commission, Two White Flint North, Room T2B3,
16 11545 Rockville Pike, at 8:30 a.m., John W. Stetkar,
17 Chairman, presiding.

18 SUBCOMMITTEE MEMBERS:

19 JOHN W. STETKAR, Chairman

20 J. SAM ARMIJO, Member

21 DENNIS C. BLEY, Member

22 CHARLES H. BROWN, JR. Member

23 HAROLD B. RAY, Member

24 JOY REMPE, Member

25 WILLIAM J. SHACK, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 GIRIJA SHUKLA, Designated Federal Official

3 JAMES GILMER, NRO

4 HOSSEIN HAMZEHEE, NRO

5 JOSHUA KAIZER, NRO

6 RUTH REYES, NRO

7 JEFF SCHMIDT, NRO

8 ALSO PRESENT:

9 YUKO FUJITA, MNES

10 MASAYA HOSHI, MNES

11 DAN HUGHES, Information System Laboratories

12 ATSUSHI KUMAKI, MNES

13 YUTA MARUYAMA, MNES

14 MASATOSHI NAGAI, MNES

15 MASAMORI ONOZUKA, MNES

16 KEITH PAULSON, MNES

17 DAVID SEEL, MNES

18 RYAN SPRENGEL, MNES

19 TAKAYUKI SUEMURA, MHI

20 JUNICHI TAKEUCHI, MHI

21 KURT WALTER, MNES

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

T A B L E O F C O N T E N T S

		<u>PAGE</u>
1		
2		
3	Opening Remarks	
4	John Stetkar, Chairman.....	4
5	Topical Report MUAP-07009-P, "Mitsubishi	
6	Thermal Design Methodology	
7	J. Takeuchi, MHI.....	7
8	CLOSED SESSION	
9	SER for MUAP-07009-P	
10	J. Kaizer, NRC Staff.....	20
11	CLOSED SESSION	
12	Discussion of ACRS Questions from the	
13	July 2012 and October 2012 Meetings	
14	ACRS Members.....	32
15	Wrap up and Adjourn	
16	John Stetkar.....	94
17		
18		
19		
20		
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

(8:32 a.m.)

CHAIR STETKAR: The meeting will now come to order. This is a meeting of the United States Advanced Pressurized Water Reactor Subcommittee. I am John Stetkar, Chairman of the subcommittee meeting.

ACRS members in attendance or Harold Ray, Dennis Bley, Sam Armijo, Bill Shack, Charlie Brown, and Joy Rempe. Mr. Girija Shukla of the ACRS Staff is the Designated Federal Official.

The subcommittee will discuss the VIPRE Code Topical Report MUAP-07009-P, Revision 0, "Mitsubishi Thermal Design Methodology" and the staff's SER associated with the topical report.

The subcommittee will also receive an informational briefing on the FINDS Topical Report MUAP-07034-P, Revision 3, "FINDS: Mitsubishi PWR Fuel Assemblies Seismic Analysis Code." We will hear presentations from Mitsubishi Heavy Industries and the NRC Staff. We have received no written comments or requests for time to make oral statements from members of the public regarding today's meeting.

The subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 by the full committee. The rules for participation in
2 today's meeting have been announced as part of the notice
3 of this meeting previously published in the Federal
4 Register.

5 Parts of this meeting may need to be closed
6 to the public to protect information proprietary to MHI
7 or other parties. I would ask the NRC Staff and the
8 Applicant to identify the need for closing the meeting
9 before we enter into such discussions and to verify that
10 only people with the required clearance and need to know
11 are present.

12 A transcript of the meeting is being kept
13 and will be made available, as stated in the Federal
14 Register notice. Therefore, we request that the
15 participants in this meeting use the microphones located
16 throughout the meeting room when addressing the
17 subcommittee. The participants should first identify
18 themselves and speak with sufficient clarity and volume
19 so they may be readily heard.

20 A telephone bridge line has also been
21 established for this meeting. To preclude interruption
22 of the meeting, the phone will be placed in a listen-in
23 mode during the presentations and committee
24 discussions.

25 Please silence your cell phones during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meeting.

2 We also have an item on the agenda at the
3 end of our discussions that we are going to review some
4 preliminary answers, responses for thermal hydraulics,
5 questions from our July and October subcommittee
6 meeting. So I just wanted to alert everyone to that
7 item on the agenda.

8 And with that, --

9 MR. HAMZEHEE: I'll take it from here.

10 CHAIR STETKAR: Hossein has spoken up. I
11 will ask Hossein Hamzehee to start to the meeting.

12 MR. HAMZEHEE: Thank you, sir. I don't
13 have a lot to say. I just want to thank John and the
14 ACRS Subcommittee members for the opportunities to
15 discuss these topical reports with you this morning.

16 And we have all the staff sitting in the back and we
17 will be here to present and also they are SCF. They are
18 sitting outside, a lot of them.

19 With that, Ruth, anything you would like
20 to add? Back to John.

21 CHAIR STETKAR: Thanks, Hossein. And with
22 that, we will turn it over to Mitsubishi.

23 MR. SPRENGEL: Good morning. This is Ryan
24 Sprengel with MNES. I would like to echo Hossein's
25 thank you for this meeting. And we are looking forward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to a productive year and especially the next couple of
2 months, I think, the first half of this year with
3 productive interactions, hopefully. So, I will go
4 ahead and turn it over to Takeuchi-san.

5 MR. TAKEUCHI: Yes.

6 CHAIR STETKAR: Also, just again to warn
7 you, I know that you have some information that is open.

8 Just be aware of anything that we tread upon in the
9 open session that might be proprietary. Just alert us
10 to that and we will cover it in closed session after
11 you close the meeting. Okay, thank you.

12 MR. TAKEUCHI: Okay. Good morning,
13 everyone. Thank you for giving me the opportunity to
14 present this material.

15 I have the open session material and the
16 closed session material. So first thing, the open
17 session, I will briefly explain the outline of the
18 Topical Report. And in the closed session, I will go
19 into the detail of the Topical Report.

20 Okay, so in my presentation, I will
21 introduce the contents of the Topical Report MUAP-07009,
22 thermal design methodology.

23 And I am lead presenter, Junichi Takeuchi.

24 I am a senior engineer in Mitsubishi Heavy Industries,
25 MHI, and in charge of thermal-hydraulic design. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we have two technical experts here. Mr. Takayuki
2 Suemura, he is an engineering manager, MHI and he is
3 in charge of thermal-hydraulic methodology and software
4 development. And Mr. Masaya Hoshi is senior technical
5 advisor with Mitsubishi Nuclear Energy Systems, MNES,
6 and he is charge of thermal hydraulic design also.

7 Okay. So basically our Topical Report
8 presents the comprehensive description of the thermal
9 design methodology utilized by MHI, which is based on
10 already approved code and methodology for other vendors
11 and currently used in the United States, which is the
12 VIPRE-01 subchannel analysis code which is approved for
13 EPRI and for DNB correlations WRB-1 and WRB-2, which
14 are approved for Westinghouse. And we also
15 supplementary use W-3 correlation which is a very
16 classical correlation just for low pressure events.
17 And for the design procedure we use Revised Thermal
18 Design Procedure RTDP which is already approved for
19 Westinghouse.

20 And our Topical Report addresses that all
21 this methodology applicable to DNB analysis and
22 transient fuel temperature analysis for MHI-designed
23 PWR cores.

24 Okay. So the main part of our Topical
25 Report is the VIPRE-01M, which is MHI version of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 VIPRE-01.

2 So the VIPRE-01M is essentially identical
3 to VIPRE-01 in essential thought which constitutive
4 equations and numerical schemes but we incorporated
5 additional functions shown here, which is DNB
6 correlations for design applications WRB and WRB-2.
7 And fuel thermal properties for design applications
8 actually VIPRE-01 has its own thermal properties but
9 we incorporate our own thermal properties which is
10 consistent to our fuel design code.

11 And the important part of the change --

12 MEMBER SHACK: Is that an option or you have
13 actually replaced them?

14 MR. TAKEUCHI: It is an option.

15 MEMBER SHACK: It is an option.

16 MR. TAKEUCHI: Correct. So the important
17 part of our thermal property is that it accounts for
18 the degradation effect of thermal conductivity of the
19 fuel, depending on burnup.

20 And we also added some options to perform
21 the hot spot peak cladding temperature analysis for
22 after DNB and some user interfaces are more defined.

23 MEMBER ARMIJO: I just want to make sure
24 I understood. Since the thermal degradation is a fuel
25 property and function of burnup, why would that be an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 option in your analysis? Why wouldn't it be just a
2 standard input?

3 MR. TAKEUCHI: Well it is added as option
4 but we use it as a standard.

5 MEMBER ARMIJO: Okay, so you never would
6 use an -- do an analysis without thermal conductivity
7 degradation?

8 MR. TAKEUCHI: Yes, for design application
9 we always use the thermal conductivity accounting for
10 the degradation effect.

11 MEMBER REMPE: If a person that picks an
12 option that is inappropriate, are there warnings that
13 show up in the code? Does the code stop? Does it check
14 to see that you picked the right option? Does it stop
15 or how does this work?

16 MR. TAKEUCHI: We can choose different
17 options I we intend to do so. But the input are always
18 checked before it runs. So --

19 MEMBER REMPE: Checked by the code or
20 checked by another engineer?

21 MR. TAKEUCHI: Checked by engineers.

22 MEMBER REMPE: Okay. Also, and I don't
23 know if this goes in the open session or the closed
24 session, but there was an issue about a frozen version
25 of the code and when the staff was reviewing it, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 found that multiple versions had been used and could
2 you clarify how that happened and how that won't happen
3 again?

4 MR. TAKEUCHI: Yes, we basically -- can you
5 explain that frozen version issue? So your question
6 is that we clarified that. This issue is addressed
7 properly.

8 MEMBER REMPE: Well there was a point in
9 some of the documentation we were provided that said
10 that Mitsubishi has a frozen version of the code. You
11 have a lot of good quality assurance to keep you using
12 that frozen version but yet the staff found that you
13 had used multiple versions of the code in some of the
14 information they were checking. And so I would like
15 to understand how that even occurred with your quality
16 assurance system. And then apparently, there was some
17 sort of flaw in the quality assurance and how do you
18 know that won't happen again?

19 MR. TAKEUCHI: Okay, our code development
20 started before our quality assurance program is actually
21 finalized. So it actually happened before that, the
22 final quality assurance program was fixed.

23 So over the course of the development, the
24 first part of the code development was not be under the
25 current final version of the quality assurance program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So that was the start of the issue.

2 We basically confirmed that our code
3 changes are acceptable in quality assurance program and
4 we performed the -- we re-performed the calculation that
5 was done in the old version.

6 MR. SPRENGEL: Let me clarify a little a
7 bit. Because what Takeuchi-san is talking about is more
8 tied to the implementation of the US-APWR Quality
9 Assurance Program. So there was a transition period.

10 But what Joy is asking about is actually
11 it is tied more to our licensing documentation, where
12 we had used different versions over time --

13 MEMBER REMPE: Despite that you were
14 supposed to have one version that was frozen.

15 MR. SPRENGEL: There is always one version
16 that is frozen and up-to-date. But it had been revised
17 and we had not gone back and redone the previous
18 submittals. And so that was the kind of gap in the
19 internal procedures. So that was fixed.

20 And we did go back and look at the different
21 submittals that were made the results that were found
22 using the code. So and then that was fixed.

23 So that was the problem was aligning the
24 most current code to also match up with all you
25 submittals for the licensing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: All the previous analyses
2 were done with frozen code, which at the time was the
3 reference code?

4 MR. SPRENGEL: At the time, yes.

5 MEMBER ARMIJO: Right, so it wasn't
6 something that was just out of control. But you then
7 had to go back and update it with the newest version.

8 MR. SPRENGEL: To line up with licensing
9 documentation with a version of the code, yes.

10 MEMBER ARMIJO: Okay.

11 MR. SPRENGEL: So it was all controlled.

12 MEMBER REMPE: So this won't happen again.

13 MR. SPRENGEL: The only missing link was
14 to make sure that you had alignment between the most
15 recent version in the QA process and the licensing
16 submittals.

17 MEMBER REMPE: So this wouldn't happen
18 again, --

19 MR. SPRENGEL: Correct.

20 MEMBER REMPE: -- as to either issue.

21 MR. SPRENGEL: Correct, yes.

22 MEMBER REMPE: But I wanted to have some
23 confidence.

24 MR. SPRENGEL: So it was a change in the
25 licensing procedures within MHI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So as an additional step to look at the code
2 that you are using and if there was changes in the
3 QA-controlled code, that you also then have to update
4 all of your licensing submittals or do a review to
5 confirm that there is no impact.

6 MEMBER REMPE: Thank you.

7 MR. TAKEUCHI: Can I move on? Okay, so
8 VIPRE-01 is already approved by NRC for EPRI, which is
9 approved as a generic code. So when each vendor applies
10 it for their own calculation, each vendor has to justify
11 their own -- their way of using it, and justify the model
12 option that they use. So that is the condition in the
13 VIPRE-01 SER. So we basically discussed the SER
14 conditions in Topical Report and addressed that how we
15 complied with the VIPRE-01 SER. And these are the main
16 topic of the Topical Report.

17 And so I picked two examples of the most
18 important parts of the SER conditions here, which is
19 model used for licensing analysis must be justified.

20 And in the topical report, we justify our model options
21 by sensitivity analysis and benchmark with other
22 NRC-approved codes.

23 And the second point here is newly
24 introduced CHF correlations must be validated. Since
25 we incorporated WRB-1 and WRB-2 correlations, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 qualified these correlations by analyzing DNB test data
2 with VIPRE-01M. And eventually we show that the
3 original DNBR correlation limit of 1.17, which is
4 approved for WRB-1 and WRB-2 are conservative for
5 VIPRE-01M analysis of Mitsubishi fuel.

6 Another important part of this Topical
7 Report is that since we incorporate these model options
8 into VIPRE-01, we qualify that our models works properly
9 in VIPRE-01M by showing that DNBR is also similar or
10 slightly conservative in comparison with other
11 NRC-approved codes.

12 And for safety -- for steady state analysis,
13 the results are compared against THINC code results for
14 various plant conditions. And for transient analysis,
15 typical locked rotor analysis were performed and
16 results were compared against FACTRAN and THINC code
17 results.

18 Okay, so in conclusion, we summarize the
19 Topical Report by saying MHI thermal design methodology
20 consists of RTDP, VIPRE-01M and WRB-1 and WRB-2
21 correlation. And VIPRE-01M is an extension of
22 VIPRE-01. And the VIPRE-01M model options selected for
23 licensing analysis are well-accepted and conservative.

24
25 WRB-1 and WRB-2 correlations and their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 original DNBR correlation limit of 1.17 are conservative
2 for Mitsubishi fuel in conjunction with VIPRE-01M.

3 And in summary, we say we conclude that the
4 MHI's methodology is applicable to the core thermal
5 hydraulic design analysis and all non-LOCA safety
6 analysis relevant to DNB. So this is our conclusion
7 of the Topical Report.

8 So this is the end of the open session
9 presentation.

10 CHAIR STETKAR: Any question for MHI, at
11 least for the open material?

12 MEMBER REMPE: Before we get into the
13 closed material, could I ask the Staff a question just
14 to give some perspective of what we are going to hear
15 herein the closed part?

16 CHAIR STETKAR: Sure.

17 MEMBER REMPE: In your documentation, you
18 regularly have said small changes to VIPRE can give
19 big changes to the results. And they said well, we have
20 only made a few small changes, although frankly to me
21 they look kind of substantial.

22 What kind of small changes can give big
23 changes to VIPRE results and so as you go through the
24 closed session, could you give some examples from the
25 other things you have done with VIPRE or you saw some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 big changes?

2 MR. KAIZER: Josh Kaizer, NRC staff. What
3 we are personally concerned about is anytime you make
4 a change to a code, you never really know what your result
5 is. So when they made small changes to VIPRE-01 I think
6 a better way to say that would be they actually continued
7 -- finished VIPRE-01. VIPRE-01 as it sits in the SER
8 says you can't use this. EPRI has a lot of different
9 models in it. There is a lot of two-phases flow, a lot
10 of CHF models. And in the SER we said you have to choose
11 which two-phase flow model, which pressure drop model,
12 void quality. You select that and then you justify that
13 and that is what MHI did.

14 So I don't consider VIPRE-01M so much an
15 extension of VIPRE-01. I consider VIPRE-01 incomplete
16 and VIPRE-01M is the complete version, like VIPRE-01D,
17 which is Dominion, and VIPRE-01W, which is a
18 Westinghouse version.

19 And then they had to not only justify why
20 they selected that model, but ultimately, and this is
21 what you will hear probably over and over again, they
22 had to validate that and they validated with their CHF
23 data.

24 So if they were to have quote-unquote, "made
25 a change" that would give them erroneous results, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would not expect to see them to be able to predict CHF
2 data anywhere near as well as they predicted it.

3 MEMBER REMPE: Okay.

4 MR. KAIZER: Does that answer your
5 question?

6 MEMBER REMPE: Yes, sir. Thank you.

7 CHAIR STETKAR: Anything else? With that,
8 we will go onto closed session and I will ask the Staff
9 and MHI to verify whether or not anyone needs to leave
10 the room.

11 (Pause.)

12 CHAIR STETKAR: Seeing no one heading for
13 the doors, I am assuming we are all okay. So we are
14 now in closed session and we can begin the closed session
15 discussion.

16 Actually, let's hold off. We need to check
17 the bridge line to see who might be out there on the
18 bridge line. Let me ask this. Ryan, is anyone who is
19 out there from MHI needed to possibly answer questions?
20 Because we can just close the bridge line.

21 MR. SPRENGEL: We don't need the bridge
22 line.

23 CHAIR STETKAR: Why don't we do that? Just
24 close the bridge line. Because if they don't need any
25 technical resources to answer questions, it is just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 lot safer if we just close it.

2 (Whereupon, the foregoing meeting went off the record
3 at 8:54 a.m. for a closed session and went
4 back on the record at 10:42 a.m., continuing
5 the open session.)

6 CHAIR STETKAR: We're back in session and
7 we will hear from the Staff. I guess we probably just
8 for interest should reopen the bridge line, if there
9 were people.

10 MR. SHUKLA: There is only one consultant
11 from the Staff that should be on the bridge line. He
12 is here?

13 MR. SCHMIDT: Yes, we don't need a bridge
14 line.

15 CHAIR STETKAR: You may not need it but
16 according to our public process, we normally keep it
17 open. Did we have anybody --

18 MR. SHUKLA: Not really until somebody
19 requests it.

20 CHAIR STETKAR: Did we have anybody on it
21 before?

22 MR. SHUKLA: No.

23 CHAIR STETKAR: Oh, there was nobody? I
24 just wanted to check. Thank you.

25 MS. REYES: Okay, thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Good morning everyone. My name is Ruth Reyes. I am
2 the project manager for the review of the VIPRE Topical
3 Report. Here with me are part of the technical staff
4 involved in the review. From NRO, we have Jeff Schmidt
5 and from NRR Josh Kaizer. We also had Anthony Attard.
6 He was a senior technical reviewer from NRR who was
7 involved in the review but he retired last year. So
8 he is not here with us today. And also we have ISL,
9 which is here with us, who helped the staff in the review.

10
11 So having said that, I am going to let the
12 staff start with their presentation of the ACRS review.

13 MR. KAIZER: To perform this review, the
14 staff used the guidance in SRP 15.0.2, which is actually
15 very good guidance. And that is why you will notice
16 that there are a couple rounds of RAIs and round three
17 was when we really started using this SRP guidance.
18 So we asked a lot of questions specifically dealing with
19 what the SRP said you should ask.

20 We also looked at previous reviews for
21 VIPRE-01, Westinghouse's VIPRE-W, Duke and Dominion
22 each have their own versions of VIPRE as well. We issued
23 five rounds of RAIs, which MHI each answered and we
24 performed two quality assurance audits. We also went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 to Germany and observed the DNB testing in their KATHY
2 loop.

3 MEMBER BLEY: Okay. The way you began
4 this, is that a new section of the SRP?

5 MR. KAIZER: It is not. This is the first
6 time that I am aware of that the Staff has used an SRP
7 as much as I did in writing the SER.

8 MEMBER BLEY: Okay.

9 MR. KAIZER: Like I mean, all my sections
10 and criteria come right from there. I am hoping that
11 we are going to continue it because I think it works
12 really nicely but that part was different.

13 MEMBER REMPE: Were the number of RAIs
14 considerably more than what you had like say with AREVA
15 or Westinghouse or some other place?

16 MR. KAIZER: For a lot of cases, I think
17 there were more RAIs. I think that was really two
18 reasons. First, was the number of reviewers that had
19 a hand in the pot. It started with Ed Throm and Ralph
20 Landry. It then switched from Ed Throm to Tony Attard
21 and then came from Tony Attard and myself who it finally
22 landed with. And it was also the fact that MHI was a
23 new vendor to the NRC. The way I tried to treat it in
24 my mind is Toys "R" Us is coming in and asking and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 want to use this nuclear code. And so I understand MHI
2 has significant more experience than Toys "R" Us but
3 it was just something that I had to say in my mind because
4 we didn't have any real experience or relationship with
5 them like we have with Westinghouse and AREVA and GE.

6 The Topical itself describes VIPRE-01M and
7 its applicability to PWRs. This -- I just want to show
8 you guys. This is one of the reports that the Topical
9 is based on. This is actually Volume 1 of VIPRE-01 by
10 EPRI. And this is just the mathematical modeling.
11 There is about five volumes of VIPRE-01M. This is the
12 most interesting because it goes through all the
13 derivations. So VIPRE-01M is heavily based on this
14 because they used the same modeling. They just choose
15 which of the closure models they are going to use.

16 As you have already heard, it is used to
17 perform non-LOCA transient and accident analysis for
18 the US-APWR. So in the Topical Report they talked about
19 their core modeling, their transient fuel rod modeling,
20 the thermal-hydraulics used. And it is consistent with
21 previous approved versions of VIPRE-01.

22 VIPRE-01M is a subchannel code. I get to
23 break out my toys. This is what a subchannel looks like.

24 I don't know if you actually have kind of seen one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I made one just so I knew what it looks like. This
2 is six rods and you can see the subchannels between them.

3 So they are modeling the heat transfer and fluid flow
4 inside this little subchannel. They are actually --
5 you model the hot assembly, which when you move stuff
6 -- because I made the model I get to show it.

7 This is the hot assembly.

8 CHAIR STETKAR: You actually made that?

9 MR. KAIZER: Yes. This is not
10 prototypical of what they are doing because that is
11 proprietary. This is another one I had from my
12 subchannel notes from Dr. Hochreiter.

13 But you can kind of see how you have
14 individual subchannels where you would have the hot
15 channel. Then you start lumping things. This is
16 one-eighth of a hot channel. It is placed in the center
17 of the core. That is typically done but it is also a
18 conservatism because your hot assembly is usually not
19 in the center of the core. And then you would start
20 to lump the other assemblies and calculate the heat
21 transfer and fluid flow through those.

22 So they typically use subchannel models to
23 predict design margin for DNB. They can also use it
24 for peak clad temperature analysis. For example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 locked rotor. I believe the only other transient they
2 use it for is rod ejection. When they do the locked
3 rotor transient, because they can't -- the code itself
4 can't change the fuel properties like you would need
5 to, they automatically assume certain things. I
6 believe they closed the gap or they increased the gap
7 heat transfer tremendously. They assumed DNB at the
8 beginning of the transient. Those type of things.

9 US-APWR, one of the questions we asked and
10 this is what we have seen in previous reviews. It is
11 very similar to our current PWR. We just wanted to make
12 sure okay there is no new phenomenon, no new mechanism
13 that isn't really accounted for here. Again, VIPRE-01
14 was generically approved. Each vendor must justify the
15 use of the specific models. MHI told us what models
16 they were going to use. They are proprietary. We do
17 have a closed slide if you really want to see those.

18 They are the models we would expect them to use. And
19 ultimately, and I would say this is the message from
20 the staff, the justification, the selection of these,
21 the selection of pretty much all of their parameters
22 rests on their CHF test data because that is where
23 everything comes together. And they demonstrated
24 through their CHF test data that they had adequate models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to predict DNB.

2 The validation, again, they used their, I
3 believe Z2 and Z3 grids, tested them at KATHY. The test
4 range spanned the range of applicability of WRB-1 and
5 WRB-2. It was on 14-foot data because that is what their
6 data was. I think both WRB-1 and WRB-2 have also been
7 approved for 14-foot data. I am almost positive that
8 that was in the range for those.

9 But they have demonstrated it and this was
10 something that we kind of -- Tony and I talked a little
11 bit about. They didn't give us enough data to I would
12 say come up with their own CHF correlation because that
13 is not what they were after. I mean, it was a couple
14 hundred points but we weren't really thinking of it in
15 terms of okay, can this data stand alone and say we can
16 make our own CHF correlation just from the data we gave
17 us. What we kind of considered it was okay, is this
18 data enough to show that their fuel assembly behaves
19 like the other fuel assemblies and behaves well
20 considering how much we know about WRB-1 and WRB-2.
21 And from that aspect, we definitely believe that the
22 test range was more than adequate.

23 Yes, and the testing confirmed that they
24 can use the WRB-1 and WRB-2 correlations with VIPRE.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MEMBER REMPE: You mentioned you went over
2 there to visit KATHY and observe it. It does adhere
3 to NQA-1 because of AREVA already having that
4 certification. But what exactly did you do to give
5 yourself confidence that they were doing a good job on
6 the testing?

7 MR. KAIZER: I wasn't able to go.

8 MEMBER REMPE: You didn't go?

9 MR. SCHMIDT: No, actually it was Tony
10 Attard, myself, and Jim Gilmer went. You know, the main
11 thing we were considering the repeatability tests. We
12 didn't do anything more as far as like looking at the
13 qualification of the --

14 MEMBER REMPE: You didn't go check the
15 instrumentation to see it was calibrated or whatever?

16 MR. SCHMIDT: No, no, no, we didn't. You
17 know, I was really relying on Tony Attard, who had been
18 there many times and was very knowledgeable on the
19 facility. But we did not or I did not do anything
20 additional to make sure that the measurements were, the
21 measurement uncertainty was any different than what had
22 typically been performed.

23 So the Staff was more in a, I would say,
24 an observer role than a QA role over there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MR. KAIZER: From my understanding with
2 talking with Tony, when we have a chance to go look at
3 CHF test data and testing, we usually take it but it
4 is more of a learning experience for us, as opposed to
5 an actual audit experience.

6 We did perform QA audits for MHI because
7 we needed to treat them again as a new vendor. We
8 performed two QA audits. The first one where we looked
9 at the RELAP and VIPRE-01 and we kind of looked at okay,
10 how did you modify the code? What were the aspects at
11 work there. And then because of some RAIs we needed
12 to resolve and also because of the confusion about the
13 frozen code issue, we went back and we looked
14 specifically at okay, VIPRE-01 give us, let us -- we
15 went through two of their transients.

16 I know we looked -- well, we looked in detail
17 at locked rotor and also just basically how would an
18 analyst perform this review. Where would they go and
19 get that stuff from, that kind of thing. We didn't
20 discover any significant issues. And we did make, as
21 we have already discussed that condition limitation just
22 based on the confusion with the frozen code issue
23 earlier.

24 That is, for the open portion, I do have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 closed slides, but there are just more details about
2 the CHF test data. The Staff found that MHI's thermal
3 design methodology is acceptable licensing analysis.

4 We are familiar with how they are doing their subchannel
5 code. We are familiar with how they are doing their
6 meshing, why they chose the radial nodes they chose,
7 why they chose the axial nodes they chose. We do believe
8 VIPRE-01M is acceptable for performing AOO and accident
9 analysis and ultimately, we believe that the WRB-1 and
10 WRB-2 are acceptable for predicting CHF behavior based
11 on the DNB test data.

12 It is brief. It is quick. That is my last
13 slide. I am more than happy to take any more questions
14 for comments.

15 MEMBER REMPE: I am curious. Maybe I am
16 mis-remembering but I thought they had submitted
17 something to the staff on their hopes to have a
18 transition core. And maybe I misread something.

19 MR. KAIZER: This came down to an issue of
20 the documentation MIH had access to versus what they
21 did not have access to. Like they had for the fuel rod
22 bow, they had access to the previously approved fuel
23 rod bow topical. So they submitted that to us. They
24 did not have access to the transition core topical.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And so when they could not submit that, the Staff then
2 wrote a conditional limitation just to be clear. It
3 is okay, you cannot use, you have to submit an approved
4 transition core methodology, whether they want to come
5 up with one of their own or if they want to find a way
6 to get access to an approved one. That was that issue.

7 MEMBER REMPE: Okay.

8 CHAIR STETKAR: Oftentimes it requires
9 people need a little time to collect their thoughts.
10 Any other questions for the staff?

11 MR. KAIZER: I guess as you are thinking,
12 I will try to give you more interesting things.

13 CHAIR STETKAR: I was going to say, you have
14 toys.

15 MR. KAIZER: I have more toys. One of the
16 interesting things MHI did in their CHF test report,
17 which I am very grateful to them for and I think is very
18 good work, is since they have started using CHF tests,
19 they use a five by five grid assembly and they have these
20 little things and they are called -- well they are
21 support grids. And it is basically to show that -- to
22 stop the buckling that would occur from the large
23 magnetic forces. And these were brought up in the
24 review of WRB-1, which I want to say was 1979, briefly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 addressed, the staff looked at it and said oh yes, they
2 will be fine and then nothing really was ever done.
3 And MHI actually went back and demonstrated how the
4 support grid does not really add to the CHI performance
5 of you fuel.

6 So that is pretty much what a support grid
7 looks like. This is about the size of a CHF test bundle.
8 I have a real grid spacer, if anybody wants to see it.
9 These are all just all my cool toys.

10 This is 17 by 17.

11 MEMBER ARMIJO: Is that the new Z?

12 MR. KAIZER: This is not. This was a junk
13 grid spacer AREVA was getting rid of. And because it
14 has no monetary value -- I have a letter right here.

15 (Laughter.)

16 CHAIR STETKAR: You buried that in your
17 luggage.

18 MR. KAIZER: No, I mean it is nice -- I am
19 actually not even sure if it is -- for all I know it
20 could be a Westinghouse grid spacer. They are like
21 here, take this.

22 This one I got off of eBay.

23 (Laughter.)

24 MR. KAIZER: But so this is about the size

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of -- I am sure that theirs is going to be similar.
2 But I have all these things if anybody wants to look
3 at it.

4 CHAIR STETKAR: Those little touches.

5 MR. KAIZER: Yes, the vein design, the vein
6 angle. How these little nubs, that has been a big deal
7 because those prevent their grid-to-rod fretting. I
8 think that is it for all my cool toys.

9 CHAIR STETKAR: That's great. Any other
10 questions for the Staff? Hearing none, thank you very
11 much. That was efficient.

12 What I would like to do is first of all,
13 because this is the end of the discussion of the thermal
14 design methodology, just ask if there are any public
15 questions, comments.

16 Hearing none, we will end this session.
17 And now, in terms of logistics, we need to end promptly
18 at noon. I will ask MHI whether you would like to start
19 the briefing on FINDS code.

20 MR. SPRENGEL: Yes.

21 CHAIR STETKAR: Okay, that is a good
22 answer. We will do that, then. We will get as far as
23 we can. As I said, we have another conflicting meeting.

24 MR. SPRENGEL: Right. So this is a closed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 session as well.

2 CHAIR STETKAR: We do need to end promptly
3 at noon. So we will just adjust the time.

4 MR. GILMER: Jim Gilmer with Staff. We had
5 arranged for --

6 CHAIR STETKAR: Hold on, Jim. Sorry.

7 MR. GILMER: We had arranged for our
8 contractor at Pacific Northwest to be on the bridge line
9 at one. So if I can take a few minutes, I can probably
10 get them to call in now.

11 CHAIR STETKAR: Yes, if that will help.

12 MR. GILMER: Yes, I think it will.

13 CHAIR STETKAR: Give them a call. We will
14 go into recess while we reorganize here.

15 (Whereupon, the foregoing meeting went off the record
16 at 11:07 a.m. for a closed session and went
17 back on the record at 1:36 p.m., continuing
18 the open session.)

19 CHAIR STETKAR: I don't think there is
20 anyone on the bridge line but as of this time, the meeting
21 is open.

22 What we would like to do, I think, we had
23 a couple of items. And if Joy can bear with me, Joy
24 and Sanjoy Banerjee have been working diligently over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the last couple of months and I would like to publicly,
2 since we are on the record now, thank you very much for
3 the amount of effort that you folks and Girija has been
4 supporting them. There has been a lot of communications
5 on these topics over the last couple of months and I
6 really appreciate the effort that everybody has put in.

7 What I would like to do is go through those
8 items pretty much one by one, so we have clarity where
9 we are. And if there is any open issues that need further
10 evaluation that we are real clear on what needs to be
11 done. We are going to hand out a table so that you all
12 have it.

13 MEMBER REMPE: But we are going to -- may
14 I suggest something Mr. Subcommittee chairman? Why
15 don't you start with the October one, because it is a
16 good example that will be fairly quick and then let's
17 go through the July ones, okay? And we will get the
18 table out in a bit.

19 CHAIR STETKAR: Yes, there is only one from
20 October.

21 MEMBER REMPE: Right. And let's go
22 through it.

23 CHAIR STETKAR: It is a two out of four
24 thing, if that is what you are talking about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER REMPE: Yes, because it is, I think,
2 a good response where they gave us sufficient
3 information and it would be a good example to go through
4 first.

5 CHAIR STETKAR: That is not on your table.

6 MEMBER REMPE: It's not on my table, right.

7 CHAIR STETKAR: You are right. That is
8 what I was going to suggest.

9 MEMBER REMPE: Okay.

10 CHAIR STETKAR: Thank you, it is an
11 excellent suggestion.

12 MEMBER REMPE: I thought you were going the
13 other way.

14 CHAIR STETKAR: No, I wasn't.

15 MEMBER REMPE: Okay.

16 CHAIR STETKAR: I wanted to get that one
17 out of the way first. And we don't have this in
18 writing. Let me pull up my file here so I can refresh
19 my memory on the specifics.

20 There was one -- I will give you, kind of
21 orient you. There was one question that we had, there
22 were statements in the SER and in responses to RAIs,
23 and in fact in your response to us, regarding this notion
24 of if you have a single failure in the reactor protector

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 system, any one of the remaining four channel -- any
2 one -- I think the way it is phrased is any of the
3 remaining channels will trip the reactor.

4 And a question that, according to the tech
5 specs and your response, was something of the order of
6 according to the tech specs, if a channel is inoperable,
7 we need to put the channel in test -- or I am sorry --
8 we need to trip the channel. And, therefore, successful
9 operation of any of the remaining channels will trip
10 the reactor.

11 The problem is, the way I read the tech
12 specs, and this might be my misinterpretation of the
13 tech specs is the tech specs require by law, require
14 that three channels of the reactor protection system
15 shall be operable. Three not four.

16 If during a real event now, if I have one
17 channel inoperable, I am operating my nuclear power
18 plant and a channel becomes inoperable, normally I have
19 four. The tech specs don't tell me that I need to trip
20 that channel that becomes inoperable because I only need
21 three to be operable. So I am in a gray area now. What
22 happens in the real world if that channel becomes
23 inoperable?

24 According to the tech specs, I don't find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anything that says I must place that channel in trip.

2 So I am operating under the presumption that I will
3 not trip that channel. That leaves me three channels.

4 If now I have an event and I take my single
5 failure as one of those three channels, I need a trip
6 signal from the remaining two. That was the genesis
7 of my question. And it all hinges on this fact that
8 the tech specs require three channels to be operable
9 and they are silent on what happens if one of the four
10 channels in the real world becomes inoperable. I can't
11 find a requirement that says place that channel in a
12 trip condition. If one of the required channels is
13 inoperable, it clearly says trip it. Follow me?

14 MEMBER BROWN: The point is it could be out
15 of service without a trip.

16 CHAIR STETKAR: The point is that during
17 normal operation I have four channels. What happens
18 in the real plant if one of those four channels becomes
19 inoperable? My reading of the tech specs are that they
20 are silent. They do not require me by law, by license,
21 by anything, to place that one channel in the trip
22 condition because I still satisfy my operability
23 requirements. I still have three operable channels.

24 So in principle, according to my reading

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 of the tech specs, I can be operating 365 days out of
2 the year. I am going to push maintenance rule and those
3 sorts of issues off to the side but I can be operating
4 365 days in the year with three and only three operable
5 channels and the remaining channel not in trip. In
6 other words, bypassed, basically. And if that is the
7 case, if that is allowed by the tech specs, then I still
8 -- I am not arguing with the notion that you don't meet
9 the single failure criterion. You certainly do meet
10 the single failure criterion because no single failure
11 will prevent you from tripping that reactor but the way
12 that all the responses and the wording in the SER has
13 been stated, it is implied that any one of the remaining
14 channels is sufficient to trip the reactor. And I don't
15 think that is necessarily true in the context of the
16 logical relationships that fall out of those tech spec
17 requirements.

18 MR. SPRENGEL: So the question what is the
19 control to put the one inoperable channel with the trip.

20 CHAIR STETKAR: Well, it is how the tech
21 specs are interpreted. And having operate a nuclear
22 power plant in a previous life and I always have to admit
23 that that was a very long ago previous life, most people
24 who operate nuclear power plants, unless they are told

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 explicitly do X will not do X, especially if by doing
2 X it makes them more vulnerable to tripping the plant,
3 which putting one of your channels in trip would do.

4 MEMBER BROWN: I would take a slightly
5 different tack and that it could be out of service and
6 it could not be possible to put that in trip due to the
7 nature of the failure. And, therefore, you are
8 operating on three and you will have to require simple
9 failure in the other. I'm just saying that is another
10 aspect of having one channel, whether it has been put
11 in trip or whether it is out of service and you can't
12 put it in trip, or whether it is being repaired or what
13 are those circumstances.

14 So I would not be comfortable if somebody
15 says the only way this plant is protected is if a channel
16 is out of service and it is placed in trip and that is
17 the only requirement. I think that is nuts. You ought
18 to be able to operate with three channels and then have
19 two out of three be their protection mode.

20 And the implication from what you went
21 through is that that is almost well no, while you may
22 only need one, we are still going to have people place
23 that discrepant channel in trip. And I just don't think
24 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR STETKAR: I think we might be talking
2 of different purposes here.

3 MEMBER BROWN: I don't know.

4 CHAIR STETKAR: Ryan, do you understand
5 sort of my logical arguments?

6 MR. SPRENGEL: Now I understand two
7 arguments. Because the second argument is to maintain
8 that two out of three.

9 MEMBER BROWN: Well, if you have got four
10 channels, the whole idea, I mean I have lived with four
11 channels my whole life. If one is out of service for
12 whatever reason, you don't necessarily put a trip into
13 it. If I have got -- now I am down to three and two
14 out of three will trip me.

15 CHAIR STETKAR: And indeed that is --

16 MEMBER BROWN: I don't require a manual
17 trip in that out of service channel.

18 CHAIR STETKAR: No, we are saying the same
19 thing. The tech specs are very clear to me. Now maybe
20 I am misinterpreting them. The tech specs say that you
21 need three operable channels. And if a required channel
22 is inoperable, you place that channel in trip. That
23 is my reading of the tech specs and if I am not reading
24 them correctly, please help me. Which essentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 leaves you, in some sense, half-primed for a trip because
2 a trip signal from either of the remaining two channels
3 will trip you. That is why people don't like to put
4 the channels in trip but that is okay. That is the way
5 the tech specs seem to be written to me.

6 But now if I have three operable channels,
7 no channels in trip, and I have a real event, now we
8 are in design basis space, so I have a real event and
9 I must presume a single failure. And the single failure
10 that I take is one of those three channels. And that
11 failure does not trip me because it is a failure. Then
12 I need a legitimate valid trip signal from the remaining
13 two channels, essentially a trip from two out of the
14 three channels.

15 And I said, it is not a single -- you meet
16 all of the single failure criteria. I am just trying
17 to make sure that I understand how the plant will be
18 operated and make sure that the decisions are made in
19 licensing space for the plant are not based on words
20 that may be logically optimistic.

21 MR. SPRENGEL: So the problem is we are
22 focusing on being in the condition of having three
23 channels operable and we are assuming that we have the
24 fourth one tripped, where you are saying that may not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 be --

2 CHAIR STETKAR: The way I read your
3 response was it presumed that any of the four channels,
4 if they became inoperable, would be placed in trip
5 because that is the way that the response was basically
6 worded. But my reading of the tech specs would not
7 require that they put it in trip and there may be many,
8 many operational considerations where they would not
9 want to put it in trip because you don't like sitting
10 in a place where a trip signal from another channel will
11 bring the plant down.

12 MR. SPRENGEL: But I guess to be clear,
13 though, it is not necessarily -- is it mostly a wording
14 concern?

15 CHAIR STETKAR: It is absolutely, Ryan, a
16 wording concern.

17 MR. SPRENGEL: So we have two, that it may
18 be this or we could be in a situation of having three
19 operable channels, have the one channel failure and then
20 we would require two.

21 CHAIR STETKAR: Require two, that's right.
22 I am not raising this as a fundamental licensing single
23 failure issue. I'm raising it as wording that is
24 pervasive through both the MHI documentation and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 staff's SER that implies that any one of the remaining
2 channels, and that is sort of the way that it is cast,
3 will give you the safety thing.

4 MR. SPRENGEL: Okay, because it is built
5 up presuming one.

6 Okay, so we back up and have the two
7 different scenarios are covered but they just need to
8 be acknowledged.

9 CHAIR STETKAR: You are covered. You are
10 absolutely covered. I have absolutely no question
11 about single failure vulnerability at all. I just want
12 to make sure that the licensing basis for the failure
13 --

14 MEMBER BLEY: If in fact there was a good
15 reason for that, the tech specs ought to probably be
16 different. And if there is not, the first licensee that
17 comes in will probably come in with a change to get rid
18 of that.

19 MR. SPRENGEL: Okay, so we need to confirm
20 the scenarios and then I understand.

21 CHAIR STETKAR: Okay. It all hinges on
22 what people will or are required to do when the first
23 of the four channels become inoperable.

24 MR. SPRENGEL: Okay. So we will confirm,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I guess, not only what they will but what are they able
2 to do. Because if they are able, to as you say, continue
3 operating with the one inoperable channel but not in
4 trip, we need to acknowledge that scenario.

5 CHAIR STETKAR: Able, you mean, legally
6 able.

7 MR. SPRENGEL: Yes.

8 CHAIR STETKAR: Yes, I mean they are
9 certainly able.

10 MR. MARUYAMA: Yuta Maruyama. I
11 understand. I will check with our engineers and get
12 back to you by in Region IV.

13 CHAIR STETKAR: Great. Sorry to drag you
14 through this. It is just sometimes the words are
15 important, even though we all agree that the technology
16 is okay because we don't want to give people the
17 impression that there might be some misinterpretation
18 of the way the plant actually works or the way the
19 operators will indeed operate the plant. That is the
20 only reason why I am sort of --

21 MR. SPRENGEL: Okay, now that was the July
22 meeting. Right?

23 CHAIR STETKAR: That was actually the
24 October meeting. I believe that was October.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SPRENGEL: Okay, we will move on. It
2 is not important, I don't think.

3 CHAIR STETKAR: Okay. I think that was
4 October.

5 MR. SPRENGEL: We have July, so --

6 UNIDENTIFIED SPEAKER: It was actually
7 July's meeting.

8 CHAIR STETKAR: Was it July's meeting?
9 Okay.

10 MR. HAMZEHEE: Just make sure that --

11 CHAIR STETKAR: Speak and identify
12 yourself. We are on the record. This is Hossein
13 Hamzehee from NRC.

14 CHAIR STETKAR: Thank you.

15 MR. HAMZEHEE: I just want to make sure this
16 is not a two-way communication between you and MHI and
17 the Staff is not taking any action on this except, if
18 necessary, clarification on the wording of the SE.

19 CHAIR STETKAR: That is exactly right,
20 Hossein. I was trying to understand it. This is a
21 question that we had to MHI. They have given us some
22 feedback on it.

23 It does have implications on the wording
24 in the SE because the SE reproduces that notion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 failure or under a single failure condition a valid
2 single from any one of the remaining channels will give
3 you a trip. But at the moment, we are talking MHI.

4 You probably need to clean up the wording
5 in the SER but we will --

6 MR. SCHMIDT: This is Jeff Schmidt from the
7 NRC. Yes, we will clean up the wording in the SE.

8 CHAIR STETKAR: Now regardless of whether
9 that was October or July because I have lost complete
10 track of time, that was the only one that I had. And
11 I think the remaining items that we communicated with
12 you last week or the week before, I don't remember when
13 the emails were flying around, all have to do with the
14 table of thermal hydraulic questions. There are five
15 or six or eight, depending on how you count them or split
16 them.

17 MEMBER REMPE: There is one that Sam had
18 about the fuel.

19 CHAIR STETKAR: But that is postponed, I
20 think, until -- unless you have something. You have
21 something on the PCI?

22 MR. SPRENGEL: We would like to discuss it.

23 CHAIR STETKAR: Oh okay, good. The last
24 note I saw was you wouldn't necessarily be ready to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that. So if you are, that is good.

2 MR. SPRENGEL: We do not have results or
3 analysis to present but we do want to discuss this.

4 CHAIR STETKAR: Okay, good. Let's do
5 that.

6 MR. SPRENGEL: I think we can stay on our
7 previous topic and we will save PCI to the end.

8 MEMBER REMPE: Okay.

9 CHAIR STETKAR: Okay.

10 MEMBER REMPE: So in October there was a
11 question which we don't need to discuss but it was about
12 the nodalization in MARVEL. And you guys went through
13 and did sensitivity studies. And they did a very nice
14 response back. And that is why we don't need to discuss
15 it. But there was this other table of questions that
16 we provided to you.

17 CHAIR STETKAR: Now, before you do that,
18 let's hand out the table. I want to make sure everybody
19 has it --

20 MEMBER REMPE: Can we go through the first
21 one first?

22 CHAIR STETKAR: No, because I want to have
23 the table -- you wrote it up.

24 MEMBER REMPE: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR STETKAR: Everybody put it together.

2 I'm not --

3 MEMBER REMPE: Okay.

4 MEMBER ARMIJO: Do we have copies of that?

5 CHAIR STETKAR: Yes we do. If we can
6 distribute that Girija.

7 It is just a lot easier for people to read
8 the words and take notes. That is the reason I want
9 to make sure that we have it.

10 MEMBER REMPE: I agree that it is going to
11 be eventually needed.

12 CHAIR STETKAR: And as long as we are going
13 to discuss all of them, we will discuss it.

14 I think pretty much anybody except Joy,
15 Girija and I need a copy of the table.

16 MR. HAMZEHEE: Hi, this is Hossein Hamzehee
17 again from NRC. John, does the staff have a copy of
18 this table? Did you ever communicate this to the Staff?

19 CHAIR STETKAR: No, not at the moment.
20 Right at the moment, this is another thing that we are
21 talking to the Applicant about.

22 MEMBER REMPE: The first table didn't --
23 this is a table that --

24 MR. SPRENGEL: The Staff are aware of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 topics.

2 MEMBER REMPE: The topics, the questions,
3 did they not get a copy? I don't know but there were
4 like some questions we documented from the meeting.
5 Did the Staff have a copy of that? Then MHI came back
6 with some --

7 CHAIR STETKAR: That I don't know. The
8 first iteration you may have received.

9 MEMBER REMPE: Girija, did they not -- the
10 staff -- the history of this is there was a meeting and
11 there were a lot of questions raised and we were asked
12 to come up with documented questions. And did the Staff
13 see those documented questions?

14 MR. SHUKLA: The Staff was given a hard
15 copy.

16 MEMBER REMPE: Of the table. So you have
17 seen the original ones.

18 MR. SCHMIDT: Yes, we have seen the table.

19 MEMBER REMPE: Okay and then we got an email
20 in the last couple of months that were like for draft
21 responses, which I have included in this revised table.
22 And then we went through those draft responses. And
23 if we go through the first one, for example, the question
24 was on refluxing. And we would ask about during what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 phases of the small-break LOCA does the reflux
2 condensation occur? What are the rates for steam and
3 counter-current flow rates? We would like a ratio of
4 the hot leg and steam generator flow areas to the core
5 power and compare with the conventional four-loop plant
6 and clarify the logic for selecting the hot leg sizing.

7 And then the response was that MHI believed that the
8 requested information had already been provided in RAI
9 questions 15.0605 and RAI CA1.

10 And so we went back and looked at those
11 documents and we couldn't find the response to our
12 questions to put it briefly. I mean we guessed what
13 pages of those documents you were referencing and maybe
14 we guessed wrong but we thought we had it right. But
15 we didn't see a clear, concise response to our questions.

16 Are we missing something on that one?

17 MR. SPRENGEL: I missed the question.

18 MEMBER REMPE: You can see our ACRS
19 response. We didn't see a response to our question
20 Did you have a particular place in those documents you
21 wanted to point out to us that responded to our question?

22 MR. MARUYAMA: This is Yuta Maruyama from
23 MNES. I saw the ACRS response here. We do not have
24 special LOCA engineer from MHI today. So I would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 to bring those answers back to MHI then talk to MHI.

2 Then we will get you back what is our
3 intention or we modify our response to your question.

4 MEMBER REMPE: Okay because it is my
5 understanding you never really issued your response.
6 It was just a draft.

7 CHAIR STETKAR: No, no. It is my
8 understanding that you were targeting roughly the end
9 of January for a submittal that addresses these things.

10 The reason I wanted to get them out at the table at
11 this meeting is we have the opportunity to at least
12 discuss the items face to face and if there is any need
13 for clarification or if it would have any effect on your
14 plans, it is good to get those issues resolved here.

15 It is a lot more efficient than trying to do a round
16 robin by emails or sending tables back and forth.

17 MR. SPRENGEL: I agree.

18 CHAIR STETKAR: So that is the whole idea
19 of having of this discussion.

20 MR. SPRENGEL: Okay.

21 CHAIR STETKAR: And I recognize you don't
22 necessarily have the right people here today to answer
23 these things.

24 MR. SPRENGEL: Yes, that's okay. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 other key piece of feedback which we are also going to
2 incorporate in to the VIPRE table will be to pull more
3 information into this with a reference for more detail.

4 MEMBER REMPE: That is, I think, the point
5 of the discussion today.

6 MR. SPRENGEL: But give you once place to
7 just look at the information.

8 CHAIR STETKAR: That helps an awful lot.
9 I mean, we get -- I hate to keep whining. But we get
10 so much information that we need to plow through,
11 thousands and thousands of pages a month, literally,
12 that it is really difficult for us to organize our time
13 and wade through large documents.

14 MEMBER REMPE: But in this particular case,
15 I didn't see numeric answers.

16 MR. SPRENGEL: Okay.

17 MEMBER REMPE: I saw more hand-waving
18 discussions or whatever and we really do want to see
19 the answers to the questions. Okay?

20 MR. SPRENGEL: Okay.

21 MEMBER REMPE: And I think actually, I mean
22 we can go through the rest of these but that is basically
23 the bottom line. There were some where you did address
24 things but a lot of places there needs to be more detailed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 responses back to the questions raised.

2 CHAIR STETKAR: Does it make sense, Joy,
3 to actually just go through them? I mean, this is the
4 first chance MHI has had to see --

5 MR. SPRENGEL: No, it's okay. But looking
6 through it, some of this is additional analyses and you
7 are just basically recognizing that that is --

8 MEMBER REMPE: And that can come later in
9 your response back. I think one of the reasons we have
10 put this in this table today and we have brought this
11 back to John ahead of time was to hopefully not have
12 another round of this back and forth to request that
13 you do provide more information on the cases that you
14 are or wait and say we are going to get that analysis
15 later.

16 CHAIR STETKAR: And I think the other from
17 your perspective, I know you are trying to read through
18 this in real time but at least from my perspective, this
19 table now represents both necessary and sufficient
20 answers, which kind of gives you a target for closure.

21 At least it is a subcommittee -- full committee can
22 raise issues later but at least as far as issues that
23 have been raised in the subcommittee, this should help
24 to draw us to closure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SPRENGEL: That is good to hear. If
2 we could look at number four, specifically it looks like,
3 maybe it is a wording clarification of the request to
4 see additional analyses but we are not performing
5 additional analysis. There is additional explanation
6 but I don't know if it is just the terminology.

7 MEMBER REMPE: I think that is a wording
8 -- that is a wording thing.

9 MR. SPRENGEL: Okay.

10 MEMBER REMPE: I'm sorry for that. But you
11 are right, it is just the additional explanation which
12 could be an assessment or an analysis but yes. Okay?

13 MR. SPRENGEL: Okay.

14 MEMBER REMPE: But we would like --

15 CHAIR STETKAR: You start thinking running
16 codes, don't you?

17 MEMBER REMPE: Yes, you don't need to run
18 a code but you will have to give us the detailed
19 explanation.

20 MR. SPRENGEL: Okay. Okay and then number
21 five, the date for the subcommittee meeting for the
22 accumulator has not been defined.

23 CHAIR STETKAR: Right.

24 MR. SPRENGEL: So that -- I won't say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anything more but so I guess that though will be taken
2 off in terms of the LOCA connection and discussion.
3 Is that what I am getting?

4 CHAIR STETKAR: Yes, I think that is fair
5 to -- we will try to pull that together whenever the
6 subcommittee meeting on the accumulator. So just push
7 that one.

8 MR. SPRENGEL: Okay.

9 CHAIR STETKAR: Just make sure you address
10 it whenever we have that meeting.

11 MR. SPRENGEL: Okay and then number six is
12 tied to the discussion we need to have today.

13 Seven is the same wording, explanation
14 versus analysis.

15 CHAIR STETKAR: Right.

16 MR. SPRENGEL: And it looks like number
17 eight is similar to one where we will need to pull
18 together some information to present it better, as well
19 as include some of the feedback there. Okay.

20 Okay, I don't think we need to have any more
21 discussion now on this. This was helpful.

22 CHAIR STETKAR: Is that pretty clear?

23 MR. SPRENGEL: Yes.

24 CHAIR STETKAR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SPRENGEL: I do not want to necessarily
2 maintain our end of the month commitment. But if there
3 is a change, we will let you know.

4 CHAIR STETKAR: You know, Ryan, I still
5 come back to where we are in the whole review process.

6 These are issues that we are raising to send out a flag
7 to MHI that there are issues that we need to have
8 resolved, at least to our satisfaction by the time the
9 final safety evaluation is issued with the certified
10 design. The sooner we get them resolved, the better
11 for everybody. You know, we are where we are in terms
12 of the design certification process.

13 MR. SPRENGEL: Okay.

14 CHAIR STETKAR: There is nothing magic
15 about an end of January date.

16 MR. SPRENGEL: Agreed but I just want to
17 be clear.

18 CHAIR STETKAR: I think, you know, in both
19 of our interests, the sooner the better is fine. But
20 that is your, obviously your call.

21 MR. SPRENGEL: Yes and if we need to split
22 it up or something, we will do that. We will communicate
23 any change from end of January.

24 CHAIR STETKAR: Okay, Hossein.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. HAMZEHEE: Hossein Hamzehee from NRC
2 again. I just want to make sure just for clarification
3 and also for admin control, in the future I would like
4 to make sure that any of these questions are worked
5 through by the Staff so that if there are any impact
6 on the Staff's conclusions, SER, they are adequately
7 reflected and reviewed. So in the future, please make
8 sure that we are kept in the loop. Because none of these
9 things are on the docket yet. And if something comes
10 out, the Staff has to be ready to respond and take the
11 appropriate action.

12 CHAIR STETKAR: Okay, thank you. Point
13 taken.

14 MR. HAMZEHEE: Yes, thank you.

15 MR. SPRENGEL: PCI.

16 CHAIR STETKAR: PCI. Dr. Armijo.

17 MEMBER ARMIJO: I have asked my questions
18 several times as clearly as I can.

19 MR. SHUKLA: Let me ask one question. How
20 are you going to respond to us, through the Staff or
21 through us?

22 MR. SPRENGEL: The same way we have done
23 with all of our other responses. We send a letter to
24 the staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: Okay, that's fine.

2 MEMBER REMPE: The letter from Rebecca came
3 to the Staff with the preliminary response, so the Staff
4 has seen that part. It was just this table.

5 CHAIR STETKAR: The problem is this table
6 has undergone numerous iterations over the last 30 to
7 45 days and it has been hard enough for the two people
8 iterating on it to keep it straight.

9 MEMBER REMPE: And actually I guess I
10 thought it was, if you had come back and said well you
11 missed this on the first item, that there was that type
12 of information, that is why I thought --

13 CHAIR STETKAR: That was one the reasons
14 why I wanted to bring it up in the meeting with it in
15 front of us. Because if there had been some
16 miscommunication or misinterpretation, it was good to
17 get it out.

18 MR. SPRENGEL: Okay.

19 CHAIR STETKAR: PCI.

20 MR. SPRENGEL: Okay, we are at a little bit
21 of a loss for the requested PCI evaluation. I guess
22 we went looking. We went back and looked at
23 Mitsubishi's experience with it. And I guess we have
24 had 19,000 assemblies and 500 cores and we have never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 had any issue with PCI.

2 We understand there is a request for
3 evaluation but it is difficult because --

4 MEMBER ARMIJO: You know, in the case of
5 normal operation, and I am not disagreeing with you,
6 in normal operation you have the benefit of a 2,000 psi
7 external pressure. PWR is notorious -- not notoriously
8 -- fortunately don't have the same PCI vulnerability
9 as BWRs. Okay? But it does, it has happened in PWR
10 fuel. Most recently in several BWRs, your competitor's
11 fuel is related to defective pellets. And it is well
12 known in the industry, that is in the last several years.

13 So PCI can occur in PWR fuel but it is rare.

14 In the transients, anticipated operational
15 occurrences, you are going to much higher powers than
16 you normally would operate. And in those events, you
17 can be susceptible to PCI fuel failures and you do not
18 address them in your fuel design methodology. You make
19 some statements that there is no specific PCI design
20 criterion and don't have to worry about it because we
21 meet the cladding strain criteria and the fuel melting
22 temperature criteria and neither of those will protect
23 you from PCI because PCI occurs at much lower strains
24 than the one percent and that is demonstrated in a number

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of Studsvik power ramp test programs.

2 So what I am looking for is just a set of
3 charts that says these are all the AOOs that our US-APWR
4 is susceptible to. This set, the transient is so fast
5 that it is over before anything can happen. The power
6 may go up and down in a few microseconds or seconds and
7 so that is not a concern. But there is some where the
8 power goes up a considerable amount and I am talking
9 nodal power, peak nodal power. I am not talking
10 averages or anything else. The power goes up a
11 substantial amount and it holds for a period of time.

12 And that can be as short as a few minutes and you are
13 in a range for experimental work has demonstrated that
14 you can have PCI fuel failures. And depending on the
15 number of fuel assemblies and fuel rods that are exposed
16 to that transient, you could see a lot of fuel.

17 Now it may be that you have really good
18 answers to these things but you can't do it just by making
19 a statement. You have got to show these are the AOOs.

20 This is the power that we start out with. This is the
21 power we end up with. So that is the delta power. The
22 duration of the transient is so many seconds or minutes,
23 at which time it is either terminated by automatic
24 systems or terminated by operator action or something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And so there will be a certain class of events that
2 you may be susceptible to PCI.

3 It may be you have a good answer to all of
4 these things. Maybe you are not susceptible to anything
5 but you haven't provided anything in your documentation
6 to demonstrate that.

7 MR. SPRENGEL: All right, there is no
8 regulatory basis, though, for us to follow. I mean we
9 don't have any guidance to do this analysis. And I
10 understand in general terms what the request is but when
11 we get to specifics I don't know how to define what is
12 analyzed.

13 MEMBER ARMIJO: You can't make it any
14 clearer. You know if you are saying that as long as
15 I am below one percent cladding strain I am okay, I don't
16 have to do anything, I don't find that an acceptable
17 answer.

18 Your job is to design the fuel so it
19 addresses all fuel failure mechanisms, not just the ones
20 that are cited in the regulations.

21 So you know, I just think you are ducking
22 the issue and I don't see why. You have got the
23 analytical tools to tell you what the strains will be.

24 For example, we said calculate what the localized

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 stresses and strains are on the cladding ID'd during
2 these transients. And I am not talking about every
3 transient because there is a whole class of them that
4 are so fast and they are over before anything can happen.

5 I am talking about the ones that there is a significant
6 time at which you are at high power during the transient.

7 MR. SPRENGEL: Is there other guidance that
8 other vendors have followed to do this analysis?

9 MEMBER ARMIJO: I know of one vendor who
10 has a very specific good answer because they have tested
11 their fuel to powers much, much higher than normal
12 operation and demonstrated their fuel is resistant.
13 Now that is a different cladding design than you have.

14 It was designed to be resistant to PCI even under
15 operational transients.

16 Now that was a BWR. BWR's are more
17 susceptible. But you are going under the assumption,
18 Ryan, that the PWR fuel is not susceptible to this
19 problem and I disagree with that.

20 MR. SPRENGEL: Based on our vast
21 experience, we are confident that we are not
22 susceptible. But we have found it tough to comply with
23 the request because we do not have a complete document
24 telling us what analysis to do and how to define our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 starting points and what to compare it to. There is
2 not enough there for us to go on.

3 So, I am looking if there is any guidance
4 that other vendors have followed and maybe that the Staff
5 has approved.

6 MEMBER ARMIJO: Well I am not sure if the
7 Staff can provide other vendors' approaches. I don't
8 know if that is appropriate or not.

9 MR. SCHMIDT: This is Jeff Schmidt. I am
10 sorry to interrupt but we are having the same problems,
11 in some senses. For PWR fuel, the Staff is having
12 problems defining what a success criteria or acceptable
13 criteria are.

14 I understand that there is information for
15 BWRs but obviously, BWRs seem to be having more of a
16 problem than PWRs. And I am not aware of a PWR vendor
17 who has established any criteria for PCI.

18 MEMBER ARMIJO: Well you know, let me give
19 you a good example. Let's say you had a particular
20 transient that went from a normal operating power, let's
21 pick a number, six kilowatts a foot up to 12 kilowatts
22 a foot in this transient in a very short time frame and
23 the transient lasted for -- pick a number -- five minutes
24 before it was terminated either by operator action or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 some device.

2 Well the specific test results are very
3 clear. During that time, fuel cladding will fail and
4 it is based on strain. And the strains at which these
5 failures occur are small, much, much smaller than one
6 percent to the order of a tenth of a percent. And so
7 that would be a criteria.

8 If you calculate your strains are trivial,
9 then you would say hey, I don't have this problem because
10 I don't -- you should be able to calculate localized
11 strain during these transients. That is available with
12 your codes. You should be able to calculate that
13 routinely. It is the same code that calculates the one
14 percent cladding stream. It only takes a chemical
15 effect into account, rather than just a pure mechanical.

16 MR. SCHMIDT: Right, but we don't -- we can
17 calculate the local strains but we don't know for PWR
18 fuel what the value we should be comparing to. That
19 is kind of the crux is we can do the comparison that
20 you are requesting but I don't know if there is a way
21 that I am aware of to say you know, yes or now we are
22 susceptible to PCI based on that Studsvik data.

23 And the other problem with the Studsvik data
24 is, a lot of that data is proprietary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: No, it isn't. It is
2 published. Yes, I have got to correct you on that.

3 MR. SCHMIDT: Okay.

4 MEMBER ARMIJO: That is all open literature
5 and published. There may be some proprietary data that
6 some vendors have squirreled away but this is all
7 well-known data.

8 MR. SCHMIDT: And it is relevant to PWR?

9 MEMBER ARMIJO: Sure. It is just -- PCI
10 is a stress corrosion cracking problem. You get a
11 certain amount of strain. You got the chemical
12 environment of fission products cladding on the cladding
13 ID. You get that strain occurs. It is localized and
14 you can form a crack. It doesn't care whether it is
15 a Zircaloy-2 or Zircaloy-4. Stress relief,
16 re-crystalize, all of this has been addressed in the
17 past.

18 And so normal operation isn't a predictor
19 that you are protected in a transient. It is much higher
20 power than you normally operate. The question is --

21 MEMBER SHACK: But Sam, how about the
22 argument with so many thousands of hours of operation,
23 I mean these plants have seen transients.

24 MEMBER ARMIJO: Well if they have, that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 part of the answer.

2 MEMBER SHACK: But I mean statistically you
3 sort of know that you have years and years of operating
4 experience without this happening and yet --

5 MEMBER ARMIJO: You know if somebody can
6 say look, here is the only transient that lasts more
7 than a few seconds. Okay, we had it last year or in
8 previous years several times and nothing happened.
9 That is a good answer. I wouldn't be too upset about
10 that. But I don't think you have the operation.

11 You know, these anticipated occurrences
12 don't always happen. But if they do, how have you
13 analyzed it against this fuel failure mechanism? And
14 there is no analysis here. There is just a bald
15 statement that says hey, we meet the one percent
16 criteria, the melting temperature, and therefore, they
17 are okay.

18 MEMBER SHACK: Well you know, everybody
19 knows that one percent isn't aiming at the mechanism
20 you are talking about. It is looking at a different
21 mechanism.

22 MEMBER ARMIJO: Right. And what I am
23 trying to get across to the MHI and to the Staff is that
24 you have a much more aggressive mechanism operating at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 lower strains.

2 So you know, that is where I am at. Maybe
3 the rest of the committee isn't in sync but I have asked
4 a very specific request for an analysis.

5 MR. SPRENGEL: And I guess I want to make
6 clear that we are prepared to do analysis but without
7 the analysis being clearly defined and an acceptability
8 criteria, we don't feel comfortable moving forward on
9 that.

10 MR. HAMZEHEE: John?

11 CHAIR STETKAR: Yes.

12 MR. HAMZEHEE: Hossein Hamzehee from NRC.

13 At least for my educational purpose, is this something
14 you need for new reactors or is this something that is
15 for all of the reactors as well?

16 MEMBER ARMIJO: It is generic. It is not
17 a new reactor thing but in the case of a new reactor,
18 you have -- you know, this is a very conservatively
19 designed core. I want to make that clear. I am not
20 saying you are on the edge.

21 You may have probably the best way to answer
22 this than anybody the way you have designed this core
23 but it hasn't been addressed. It hasn't been addressed
24 in any way. It has just been ignored. And you say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Mitsubishi does not apply a PCI-specific design
2 criteria. PCI is addressed by two criteria, cladding
3 remaining below one percent strain, and fuel centerline
4 melting will not occur. I mean, that is just
5 inadequate.

6 It may be adequate for the Staff but I
7 believe it is inadequate.

8 MR. HAMZEHEE: Okay, I have some follow-up
9 questions. I think because you want to make sure that
10 if there are some areas that we need to spend some time
11 and maybe include it in our regulatory requirements,
12 we do so. As of now, I don't believe this issue has
13 been included in --

14 MEMBER ARMIJO: It is not in your
15 regulatory requirements.

16 MR. HAMZEHEE: -- or any of our reg guides.

17 MEMBER ARMIJO: It is not in your
18 regulatory requirements.

19 MR. HAMZEHEE: So I don't blame MHI if they
20 don't have adequate guidance as to what to do and how
21 to document it. So I would like to go back and talk
22 about this among our technical staff and see if there
23 is some follow-up that the Staff should act on.

24 CHAIR STETKAR: In the sense, Hossein, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it is a generic concern, so in some sense it is not
2 necessarily strictly related to this particular design
3 certification. However, I can cast it in a question
4 related to this design as is there anything in this
5 design, the AOO transient response of this design or
6 anything in the design of the fuel itself that would
7 indicate a different vulnerability.

8 MR. HAMZEHEE: I see.

9 CHAIR STETKAR: You know, so you could ask
10 the question that way and remove the genericism from
11 it --

12 MR. HAMZEHEE: Yes.

13 CHAIR STETKAR: -- and still say well, can
14 MHI go through their list of AOOs and see if there are
15 any, based on their plant design, their automatic trip
16 set points, their assumed manual actions and so forth,
17 is there any part of this particular design, coupled
18 with their specific fuel design that would leave them
19 more vulnerable to this issue than let's say a generic
20 plant.

21 MR. HAMZEHEE: I see.

22 CHAIR STETKAR: And I don't want to
23 speculate. There may not be but I think one of the things
24 that Sam is asking for is is that type of information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 For example, if the core could remain at,
2 pick an absurd, 150 percent power for 30 minutes because
3 of some specific element of this particular plant
4 design, I think we would have a real problem. You know,
5 and that has to do with the specific response to AOOs
6 on this design.

7 MEMBER ARMIJO: I think John brought up a
8 key point. You know, in the case of the BWRs, people
9 always thought that this PCI problem would not exist
10 during transients because they would be over so quickly
11 and stress corrosion is a time-dependent failure
12 mechanism, until they did the experiments. And they
13 did power ramp tests that lasted from 30 seconds to three
14 minutes. And almost all of the fuel rods that were
15 tested that way had PCI cracks either all the way through
16 or partially through. And that is documented. We can
17 provide information on that.

18 So the problem is, this is a much more
19 aggressive failure mechanism and we don't even talk
20 about it. We don't even say hey look, these are the
21 only transients that have a certain duration that have
22 a sufficient, a significant increase in power above our
23 normal operating power but we have had them before and
24 nothing has happened. That would be a good answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But if it has never happened, how can you
2 say you are safe? That is really my point.

3 MEMBER BLEY: Did the guys who did those
4 experiments map those ramps they did on any AOOs or these
5 really severe accident conditions?

6 MEMBER ARMIJO: No, they were in the range
7 of AOOs. And I know one vendor in fact does actually
8 analyze it.

9 MEMBER BLEY: They once actually had these
10 happen.

11 MEMBER ARMIJO: No, they didn't. They
12 didn't have them happen but that was a concern. In fact
13 it was an early concern by the NRC that these transients
14 would cause large numbers of fuel failures.

15 And so in the BWRs, people will find a liner, a
16 zirconium liner cladding. And that gives you lots of
17 margin. And that is how some people just address it.

18 And so yes, they are in good shape.

19 In the PWRs, you know, they don't have a
20 design fix in their cladding. And if they ever have
21 one of these transients and it meets these
22 characteristics, they could have a lot of fuel failures.

23 And so what I am looking for is an analysis that says
24 hey, this is how -- we understand PCI is a failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mechanism. This is what we calculate. It is a strain
2 that is possible during our worse transient of
3 significant duration and it is trivial. It is far less
4 than 0.1 percent, or it will never last more than 30
5 seconds because our automatic systems will terminate
6 the event, or whatever other reasons you have. But you
7 have got to write it down. What is your basis for coming
8 to that conclusion.

9 MR. SPRENGEL: Right. And again, I don't
10 have a problem with the evaluation if we found a way
11 to scope it and define the criteria. But I do have a
12 problem with proceeding with this additional analysis
13 without that in place and also being ahead of the Staff
14 and the industry.

15 So I don't want to make that move in this
16 manner.

17 MEMBER ARMIJO: Well that is up to you guys.

18 MR. HAMZEHEE: Hossein Hamzehee again from
19 NRC. I have one question and one suggestion.

20 My question is: To your knowledge has of
21 the PWRs have done any evaluation that is even close
22 to what you have in mind?

23 MEMBER ARMIJO: Not to my knowledge, no.

24 MR. HAMZEHEE: Okay. And my suggestion is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 if you want to get something close, one way to address
2 it, as John mentioned, is be a little more specific such
3 as for instance how long do you believe or do you expect
4 your transients to last and get some kind of timeline
5 for those and then maybe that would then lead to the
6 question that if none of them last longer than 30 seconds
7 or a minute, then it is a moot point.

8 MEMBER ARMIJO: That is a good approach,
9 Hossein. For example, we wrote a little memo to the
10 -- I guess it was addressed to the Staff.

11 CHAIR STETKAR: Ruth had it.

12 MEMBER ARMIJO: Yes, it says the ACRS was
13 expecting -- this was maybe the point -- a set of charts
14 that showed what transients produced the greatest PCI
15 challenge. And by that, I meant what is the maximum
16 nodal power in kilowatts per foot that you achieved.

17 What is the maximum nodal power delta, delta kilowatts
18 per foot during the transient and the duration at which
19 you are at maximum power? That is just data, no
20 criteria.

21 And if you go through your list of all your
22 transients and say there is nothing here, guys, there
23 is no transient that last more than 30 seconds, I don't
24 care.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 MR. HAMZEHEE: That you don't worry about.

2 MEMBER ARMIJO: Yes, it is all over. There
3 is no energy. You could start there.

4 But if you wind up that you say hey look,
5 I have got this transient that took me from a peak nodal
6 power level of six kilowatts a foot up to 14 kilowatts
7 a foot, and the duration was several minutes --

8 MR. HAMZEHEE: Half an hour or so.

9 MEMBER ARMIJO: No, Hossein, we are talking
10 three, four minutes, and it goes right through the
11 cladding. Okay, then you have got a potential problem.

12 MR. HAMZEHEE: Then make it an issue for
13 all the reactors.

14 MEMBER ARMIJO: Like I said, it is generic.
15 Unless this was a unique machine. I don't think it
16 is.

17 CHAIR STETKAR: Well, when I say unique
18 machine, this is a machine. They have set points on
19 trips. They have a set of -- they have an energy input
20 called a core. They have a set of inputs on trips.
21 They have a list of AOOs. And they have a fuel design.

22 And all of those things are in some sense generic but
23 the actual set points and the actual behavior of this
24 particular machine is a little bit different than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 somebody else's.

2 MEMBER ARMIJO: Yes, could be.

3 CHAIR STETKAR: Could be, yes. Now
4 whether it is different enough to raise a concern, we
5 don't know. I honestly don't expect that it would be
6 much different but we don't know.

7 MR. SPRENGEL: All right.

8 CHAIR STETKAR: And to bring it back to you
9 know an MHI design-specific type question, I think that
10 is the area where we have to focus.

11 MEMBER ARMIJO: To get at Ryan's concern
12 and I do appreciate his concern, I don't want to
13 calculate something that could get me in trouble when
14 I don't know what trouble is but you certainly can put
15 a table together of all your AOs and what the power
16 increases are, what the duration is and see if you can
17 just cut it off at that point and say our system
18 terminates all these things before anything can happen.

19 MR. SPRENGEL: Okay.

20 DR. NAGAI: My name is Masatoshi Nagai with
21 MNES licensing. I guess I understand the concern but
22 however you rephrase the question, we would need
23 established threshold against which we can compare any
24 parameter against to determine that our US-APWR PW core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is vulnerable to PCI. Without a threshold, I don't
2 think we can determine, we can come to any conclusion.

3 That is my guess.

4 So I was wondering if you could provide me
5 any insight on how to determine the data.

6 MEMBER ARMIJO: Well I think the first
7 request would be more like a scoping kind of thing that
8 says, we have 15 transients that we analyzed or 20,
9 whatever the number is. And of those, all but these
10 two or three are over in seconds, terminated for whatever
11 reason, natural phenomena or automatic systems
12 terminate it in a few seconds.

13 DR. NAGAI: Okay.

14 MEMBER ARMIJO: But these two require
15 operator action and may not be terminated for five
16 minutes, ten minutes. At that point, I would say that
17 is an area where you want to really look at analysis
18 and look at what the strains or what the powers are.

19 DR. NAGAI: Okay.

20 MEMBER ARMIJO: And then yes, you could
21 have a real problem.

22 DR. NAGAI: Okay.

23 MEMBER ARMIJO: This is not a hypothetical
24 thing. And the data on the criterion would be in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 order of a strain lasting for several minutes.

2 DR. NAGAI: I am not an expert in fuel
3 integrity type of things but I guess it depends on the
4 local conditions you are looking at. So it may be
5 possible that even though you get only three seconds
6 at high power, you may be vulnerable to PCI, depending
7 on the threshold you are looking at. I'm not sure.

8 MEMBER ARMIJO: You are right.

9 DR. NAGAI: That is why --

10 MEMBER ARMIJO: But you know your peak
11 powers aren't going to go to 50 kilowatts a foot. They
12 are going to be down in the 14, 15, something like that.
13 I have looked at your documents.

14 DR. NAGAI: Okay.

15 MEMBER ARMIJO: So that is not too far from
16 the range before there is test data from Studsvik.

17 DR. NAGAI: Okay. That is why what Ryan
18 was saying was that we need fresh, clear guidance to
19 establish threshold so that we can analyze our AOOs.

20 And I guess at least my personal opinion
21 is that we would like to address, if we have to, we would
22 like to address this issue through appropriate
23 regulatory process. That is my personal opinion, if
24 anybody else wants to add something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: Well we have written a
2 white paper and the ACRS issued a white paper a few years
3 ago on this general topic focused on BWRs. We could
4 provide that to -- the Staff, of course has access.

5
6 MEMBER SHACK: Sam, would you be happy just
7 to see a history of power for each of the AOOs --

8 MEMBER ARMIJO: Yes.

9 MEMBER SHACK: -- and then you could make
10 the judgment as to whether you thought there was a
11 problem and discuss it further from there?

12 MEMBER ARMIJO: Sure, --

13 MEMBER SHACK: But if the powers are low
14 and the times were short.

15 MEMBER ARMIJO: Exactly. I think it may
16 be that this system has got built-in margin through the
17 fact that the transients don't last very long and they
18 aren't very big. I just don't know enough about it.

19 So I was just looking for an analysis with either
20 historical data or design data.

21 MEMBER SHACK: Because what always
22 concerns me is you can do this for a sort of stylized
23 set of accidents, you know, a transient that lasts for
24 minutes with so much power, is there some way to dream

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 up a transient --

2 MEMBER ARMIJO: No, no, no. I don't want
3 to make a hypothetical.

4 MEMBER SHACK: But if you only want to look
5 at the stylized AOs that they go through anyway, then
6 that is a doable thing.

7 MEMBER ARMIJO: I am only looking for the
8 ones that they actually go through right now. I am not
9 trying to invent a new AO.

10 CHAIR STETKAR: I think that is all that
11 we, in practice, could ask.

12 MEMBER ARMIJO: Well, we can ask.

13 CHAIR STETKAR: We can ask for everything,
14 sure. You have done it before.

15 MEMBER ARMIJO: But I am not asking for
16 that.

17 MEMBER SHACK: I don't think we are going
18 to do that now.

19 CHAIR STETKAR: That is what you are asking
20 for then, is for the AOs that they already analyzed,
21 --

22 MEMBER ARMIJO: Exactly.

23 CHAIR STETKAR: -- what does the power
24 history look like?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER ARMIJO: Yes, power, history
2 including the time.

3 MEMBER SHACK: Well history sort of does
4 include time.

5 MEMBER ARMIJO: Yes, you are right.
6 History includes time. So you know, but that tells
7 you whether you are not even close to this failure
8 mechanism or whether yes, you are kind of in the ballpark
9 and then it is up to you to decide whether you feel
10 comfortable with that or not, whether there is a staff
11 guidance. You know, you are the designers. You are
12 responsible for the safety of the plant and the
13 reliability of the fuel. Whether or not the staff has
14 told you what the failure criterion to use.

15 MEMBER REMPE: So you are going to have,
16 if they do this, are you going to rely on specific data
17 for some other fuel or you want them to come up and show
18 that they have done transient testing on their own fuel
19 or are you just going to use a wag and say, it is thumbs
20 up or thumbs down? Or is that going to be our decision?

21 MEMBER ARMIJO: They are the designers of
22 this plant. They are responsible for the safety. They
23 are responsible for fuel failures or lack of fuel
24 failures. They are responsible for addressing all fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 failure mechanisms. And that is independent of whether
2 the staff tells them to do it or not. I did that as
3 a fuel designer when I was designing fuel. Okay?

4 And so you know, it is -- to their point,
5 even when there is no clear guidance, you still have
6 the responsibility to address an unknown failure
7 mechanism. And if you can prove that this failure
8 mechanism doesn't apply to you because the
9 characteristics of the mechanism, what are the
10 characteristics of your plant, then it is over. You
11 have done it. But you have got to write it down. You
12 have got to address it.

13 MR. SPRENGEL: But there is still no
14 criteria to evaluate against. So I guess I am hesitant
15 to start when I don't know -- there is no end.

16 MEMBER ARMIJO: Well you know, if you
17 wanted a duration of which you quit worrying, it is less
18 than a minute.

19 MR. SPRENGEL: But I know that we have AOOs
20 that last more than a minute.

21 MEMBER ARMIJO: Then you are in trouble.

22 MR. SPRENGEL: But we have no evidence of
23 this as an issue.

24 MEMBER ARMIJO: But if you had those AOOs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in PWR fuel in your plants that lasted for several
2 minutes and went to these kinds of powers, that is data.

3 Then you can cite that and say look, despite what you
4 say, these things have happened and we have never failed
5 a fuel. That is perfectly satisfactory. In fact,
6 probably the best data.

7 So but if you have never had the event and
8 you are claiming --

9 CHAIR STETKAR: You know the problem of
10 saying you have thousands of operating hours is an AOO
11 is something that is expected to happen once in the life
12 of a plant. You don't have thousands of operating
13 years.

14 MR. SCHMIDT: This is Jeff Schmidt from the
15 NRC. My understanding was that BWRs see this in normal
16 operation. So by extension, they are probably more
17 susceptible in AOOs. Right?

18 MEMBER ARMIJO: The BWRs are more
19 susceptible because they operate with an external
20 pressure of 1,000 PSI and the PWR has a 2,000 PSI external
21 pressure. So the stress during any power transient is
22 mitigated by that extra pressure.

23 But again, it depends on how high you go
24 in power before you get into enough tensile stress on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the idea of the cladding for a period of time in which
2 the fission products can initiate a crack when you
3 wouldn't expect it.

4 If this happened -- if a severe AOO has
5 happened in their plant lasting for much more than your
6 one minute, two minute, three minutes, and nothing
7 happened, that is very important information. That is
8 what I -- I would just cite that and say here was the
9 event. This is what happened and the fuel performed
10 beautifully. You can't do better than that.

11 MR. SCHMIDT: I want to make sure I
12 understand that BWRs have seen this in normal operation,
13 though. Is that a correct statement?

14 MEMBER ARMIJO: They have seen -- the BWRs
15 have had some AOOs but not to very high powers. But
16 they know from normal operation that they are very
17 susceptible to PCI. And so what they have instituted
18 to just about everyone around the world to put in the
19 liner cladding, which gives them a lot of margin in the
20 material. PWRs haven't had them, except for
21 Susquehanna, which they are on their own.

22 But the PWRs haven't had to do it because
23 in normal operation, they have external pressure. They
24 have always had fine motion drives. They have chemical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 shim to change power. They have had a lot of advantages
2 that the BWR didn't have.

3 So the BWR is clearly more susceptible but
4 the PWR isn't immune and it should just be addressed.

5 That is all I am saying.

6 MR. SCHMIDT: You know, I think again --

7 MEMBER ARMIJO: Even a narrative
8 discussion, other than just saying hey we are not
9 susceptible.

10 MR. SCHMIDT: No, I think the issue is the
11 same almost for the Staff as it is for MHI is that I
12 can postulate an AOO that can sit right below a trip
13 set point and sit there indefinitely until somebody
14 realizes they are at 108 percent power instead of 100
15 percent power and then an operator action would have
16 to occur.

17 You know, if you are telling me that I only
18 have a minute, that is an AOO I can construct fairly
19 easily.

20 MEMBER ARMIJO: Well I don't know if you
21 have seen our white paper that we have put out.

22 MR. SCHMIDT: No, I haven't.

23 MEMBER ARMIJO: You know, Girija, why don't
24 you send that to the Staff? And if the MHI people want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to see that, it is in ADAMS. Because the data is two
2 independent studies on BWR fuel tested with the very
3 short transient test going to not particularly high
4 powers either.

5 MR. SCHMIDT: Well I mean, give me some
6 sense. In a PWR in this case you are probably going
7 to go to the high flux set point of 109 percent power.

8 So the core power has gone up 109 percent. Now, if
9 you are worried about say if this is an issue for higher
10 burnup fuel or mid-burnup fuel -- let's call it
11 mid-burnup.

12 MEMBER ARMIJO: It is mid-burnup. After
13 high burnup, things start tapering down.

14 MR. SCHMIDT: Right. Right, so let's go
15 to a mid-power. So for a nine percent increase, your
16 mid-power pins will probably go up to maybe 12 percent
17 because they won't have the Doppler feedback to keep
18 them up. So they will go up a higher percentage than
19 the core average power will go up. So let's say if my
20 estimates are correct, you take a mid-power pin that
21 is sitting probably at a core average power of around
22 one, so you are at 4.65 kilowatts per foot and you go
23 up 12 percent --

24 MEMBER ARMIJO: What is a peak nodal power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at that point?

2 MR. SCHMIDT: Right, well that is what I
3 am trying to estimate.

4 CHAIR STETKAR: That is where he is getting
5 to.

6 MR. SCHMIDT: That is where I am going.
7 You take the average kilowatts per foot times your FQ
8 value, that is your nodal power. Right? So I am going
9 up 12 percent in total core power or that pin really
10 is going up 12 percent, and then times the same FQ I
11 would normally take, which is 2.6 and calculate that.

12 Then I would compare it to this experimental
13 data that you are referring to. But how long can I --
14 is there data that tells me how long I can sit there
15 and be okay?

16 MEMBER ARMIJO: The only data I know is that
17 test data from Studsvik.

18 MR. SCHMIDT: And that gives duration as
19 well as distance?

20 MEMBER ARMIJO: Yes, they timed it. These
21 are tests done for an international program run by
22 Studsvik and they used fuel cladding from, I think it
23 was AREVA but it might have been German cladding
24 Kraftwerk Union. And they timed the time in-between.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 They did very short transients just to address this
2 issue of susceptibility to PCI during AOOs.

3 And they would terminate the test.
4 Sometimes they could actually detect leakage. But the
5 other times they would actually have to go into hot cells
6 and they found that it was cracked three-quarters of
7 the way through the cladding. And these were durations
8 of very short time of 30 seconds to a few minutes.

9 In the BWR, then GE did a number of
10 experiments and I was heavily involved in that. And
11 we had got the same data with GE cladding, which is a
12 different heat treatment and everything else. It was
13 very consistent, a very short time.

14 And so if for example if the PWR peak powers
15 never got above eight kilowatts a foot, even under the
16 AOO transients and the pak nodes, they might be sitting
17 pretty because those, you know, you need an absolute,
18 you need to get to high power.

19 MR. SCHMIDT: Yes, I mean, it is going to
20 probably be, you know if you take the 2.6 for FQ times
21 your 4 point whatever it is, five, six times -- which
22 is their average kilowatts per foot times.

23 MEMBER ARMIJO: I don't know what their
24 peak factors are. It is all peak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SCHMIDT: Yes. I mean your FQ limit
2 in this plant is 2.6. So that is the maximum value you
3 would pick. That is what is allowed by tech specs.

4 MEMBER ARMIJO: Okay, so you go 2.6 times
5 your core average power --

6 MR. SCHMIDT: Right, times your core
7 average to get your node.

8 MEMBER ARMIJO: -- that would be your peak
9 node and then you multiply that by 12 percent.

10 MR. SCHMIDT: Right and then you multiply
11 that by 12 percent.

12 MEMBER ARMIJO: Yes.

13 MR. SCHMIDT: You are probably sitting
14 around probably around 10 to 11 kilowatts per foot.

15 MEMBER ARMIJO: Well I have seen data in
16 some of the Mitsubishi documents that shows data points
17 for fitting around what I think is about 13 kilowatts
18 a foot.

19 MR. SCHMIDT: That might be the hot -- the
20 lower burnup assembly.

21 MEMBER ARMIJO: No, I am talking
22 mid-burnup.

23 MR. SCHMIDT: Oh, mid-burnup. Okay. I
24 mean that is probably not too far off. I was estimating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 maybe around 11.

2 MEMBER ARMIJO: So if you are already at
3 12, you are in the PCI regime. Okay and you go up another
4 ten percent, you are in the PCI regime.

5 Now you have the benefit of that external
6 pressure. As long as you have got that, you might be
7 okay. But again, it is -- that is where you are
8 vulnerable.

9 MR. SCHMIDT: I think that 13 or 14 was
10 under AOOs, wasn't it though? The data that you are
11 looking at, aren't those AOO data already?

12 MEMBER ARMIJO: If they are, it may be.
13 It may be. I don't remember.

14 MR. SCHMIDT: Because I had put together
15 a table that was estimating the kilowatts per foot that
16 you got up to in transients. And I was taking AOOs as
17 -- but I will have to go back. I will have to actually
18 go back and look at that. But that is where I would
19 think you would end up under an AOO under this plant
20 because you are starting with a really low kilowatts
21 per foot. It is definitely below current PWRs.

22 MEMBER ARMIJO: Yes, I don't deny that.
23 This is very conservative. You have got a lot of fuel.
24 You have got a fuel rod length that you -- this problem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 all is controlled by peak power.

2 MR. SCHMIDT: Right.

3 MEMBER ARMIJO: And you can have a really
4 low average but if your peaking is really poor, peaking
5 factor is high, you can get into it.

6 MR. SCHMIDT: There are a lot of plants out
7 there like the 15 by 15 Westinghouse plants that run
8 at a very high average kilowatts per foot that have a
9 very, very similar FQ value. And I would hazard to guess
10 also a very similar AOs.

11 MEMBER ARMIJO: You know and then if the
12 staff has information that they have gone through these
13 kinds of transients and nothing has never happened, that
14 puts it to bed. I haven't seen that.

15 And I have asked in the only way that I know
16 how to ask is do this analysis approach.

17 MR. SCHMIDT: I mean the only thing I can
18 say is prior to coming to this job, I was on the
19 zero-by-2010 INPO team because of some issues at Palo
20 Verde that I was at. And you know, we looked at all
21 kinds of fuel failure mechanisms. You know the
22 predominant one for PWR is this grid-to-rod fretting,
23 as you are probably aware. You know, and then we have
24 had some crud issues over the years as fuel failures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We had some PCIM failures due to manufacturing defects.

2 But in this team work that I had done prior
3 to coming to the NRC, we had never been able to identify
4 a PCI fuel failure in actual plant operation. I think
5 that is probably --

6 MEMBER ARMIJO: BWRs? That is --

7 MR. SCHMIDT: No, no. P, I was on the P
8 group.

9 MEMBER ARMIJO: No, in PWRs have had PCI
10 fuel failures. Not PCMI, PCI fuel failures. The most
11 recent ones have been proven to be caused by chipped
12 pellets being the cause.

13 MR. SCHMIDT: Right.

14 MEMBER ARMIJO: But before then there were
15 fuel failures. Not as frequent as BWRs.

16 MR. SCHMIDT: What --

17 MEMBER ARMIJO: The whole thing here is it
18 is an event that if it occurs, have you analyzed it and
19 you have a good justification. Whether it is qualitated
20 by virtue of experience or qualitated by virtue of
21 claiming you have got it semi-quantitated by saying the
22 power, the duration of the event will be over in a very
23 short time, at least it has been addressed, not just
24 a claim that hey, we are less than one percent strained.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 That means we are okay. I just don't agree with that.

2 MR. SCHMIDT: Just to educate me, what time
3 frame did you see the PCI failures in PWR fuel?

4 MEMBER ARMIJO: Most recent in the last
5 eight years on not Mitsubishi fuel but two other PWR
6 fuel vendors where the fuel was operated in the U.S.
7 and there were a lot of assemblies affected.

8 MR. SCHMIDT: By PWR and PCI?

9 MEMBER ARMIJO: Yes, sir.

10 MR. SCHMIDT: Okay.

11 MR. SPRENGEL: At this time, I think
12 Mitsubishi can take an action to look at the design
13 aspects of it and confirm if there is anything different
14 from other PWRs.

15 CHAIR STETKAR: I think that would be a good
16 start.

17 MR. SPRENGEL: Beyond that, I guess we
18 would ask for additional interaction with the Staff to
19 define that --

20 CHAIR STETKAR: Yes, that sounds like a way
21 to get us at least, hopefully a long ways towards --
22 in relation to this.

23 MR. SPRENGEL: And Girija, you will provide
24 that paper or the reference?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SHUKLA: Yes, the white paper.

2 MR. SPRENGEL: The white paper.

3 MEMBER ARMIJO: It is in ADAMS.

4 CHAIR STETKAR: We will find it.

5 MEMBER ARMIJO: And Zeyna can get it for
6 you.

7 CHAIR STETKAR: We'll find it.

8 MR. HAMZEHEE: Girija, make sure we get a
9 copy.

10 MEMBER ARMIJO: Yes.

11 MR. SPRENGEL: But to be clear, right as
12 of now, we are not proceeding with additional analyses
13 or evaluations outside of --

14 CHAIR STETKAR: Just the list of --

15 MR. HAMZEHEE: The RAI.

16 MR. SPRENGEL: No, I am talking about PCI
17 specifically.

18 MEMBER ARMIJO: Are you not going to even
19 list your AOOs and put a chart that says this AOO, this
20 is the initial power, final power, duration?

21 MR. SPRENGEL: As Jeff mentioned, I am
22 certain that we could create a situation with AOOs to
23 get to an area you have mentioned but I don't know what
24 to do with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I don't --

2 MEMBER ARMIJO: Well let's hope you never
3 experience it.

4 MR. SPRENGEL: I don't think I can create
5 -- I don't see the need of creating a table when I already
6 know what would be in it.

7 CHAIR STETKAR: Because you already know
8 there will be at least one.

9 MR. SPRENGEL: Yes, you can create an AOO
10 to lead you to a higher power for an extended time.
11 You can create it.

12 MEMBER ARMIJO: Can the plant create it?
13 That's all I care about. I don't care about me doing
14 some hypothetical thing. But if it can happen in the
15 plant, that is all I want to know. Is it reasonable
16 to expect that to happen in the plant?

17 MEMBER BLEY: Once in a lifetime of the
18 plant.

19 MEMBER ARMIJO: Once in a lifetime of the
20 plant.

21 MEMBER BLEY: If it is a lot less likely
22 than that, --

23 MEMBER ARMIJO: Then forget it.

24 MEMBER BLEY: -- then it doesn't really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 belong as an AOO.

2 MEMBER ARMIJO: No, that's right.

3 MR. SPRENGEL: Then it gets into a risk
4 assessment of sorts. And again, I get back to I don't
5 know what the boundary of my evaluation is. And I don't
6 know what actions we can take or not take. There is
7 just so many unknowns that I --

8 MEMBER ARMIJO: That is why you are
9 designers of nuclear power plants.

10 MR. SPRENGEL: But with our vast
11 experience, --

12 MEMBER ARMIJO: I will submit you haven't
13 got vast experience on AOOs and this phenomenon.

14 CHAIR STETKAR: I'm going to see if I can
15 cut off the discussion because I think we all understand
16 where we are.

17 MEMBER ARMIJO: We have beat this horse to
18 death.

19 CHAIR STETKAR: One of -- and I hate to say
20 these things but we are planning to have, I believe in
21 April, a full committee meeting on US-APWR, one of these
22 meetings where the full committee has a chance to weigh
23 in on any interim items that we may have identified as
24 sufficiently important enough to merit a full committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 letter. And the full committee weighs in an writes
2 letters, not individuals.

3 So we have raised a concern here at at least
4 the subcommittee level. Whether or not that gets raised
5 to a higher level as far as part of the ACRS, kind of
6 an interim letter on issues to be resolved during the
7 licensing process remains to be seen. I certainly can't
8 talk for the full committee, as none of us individually
9 can.

10 And that is, I think, all we can do right
11 at the moment as far as at the subcommittee level.

12 MEMBER ARMIJO: Sure.

13 CHAIR STETKAR: I suspect that, you know,
14 we will need to be communicating over the next month
15 or so to make sure that we understand what items, what
16 chapters and topical reports that would be presented
17 at the full committee at that April meeting and take
18 it from there.

19 Any other members have any other questions
20 or comments? If not, is there anything else from the
21 Staff? MHI? Members of the public?

22 With that, I would like to again thank you
23 all. I think it has been an interesting discussion,
24 especially the last hour and a half or so. It is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 only way to get through a lot of these things. I know
2 it is really, really frustrating to a lot of people but
3 it is the only way to get them out on the table and work
4 our way through it. We will get through it eventually.

5 And with that, thank you all and the meeting
6 is adjourned.

7 (Whereupon, the foregoing meeting was adjourned at 2:53
8 p.m.)

9
10
11
12
13
14
15
16
17
18
19

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



Presentation to ACRS Subcommittee
MUAP-07009
Thermal Design Methodology
(Open Session)

January 15, 2013

Mitsubishi Heavy Industries, Ltd.

MHI Presenters



Lead Presenter:

Junichi Takeuchi

Senior Engineer (MHI)

Thermal-hydraulic Design

Technical Experts:

Takayuki Suemura

Engineering Manager (MHI)

Thermal-hydraulic Methodology and Software

Masaya Hoshi

Senior Technical Advisor (MNES)

Thermal-hydraulic Design

Overview of the Topical Report



- Comprehensive description of the thermal design methodology utilized by MHI
 - Based on approved code and methodology
 - ✓VIPRE-01 subchannel analysis code (EPRI-2522-CCM-A)
 - ✓WRB-1 and WRB-2 DNB correlations (WCAP-8762-P-A and WCAP10444-P-A)
(Supplementary, W-3 utilized for low pressure events)
 - ✓RTDP: Revised Thermal Design Procedure (WCAP-11397-P-A)
 - Applicable to DNB analysis and transient fuel temperature analysis for MHI-designed PWR cores

- MHI version of VIPRE-01
- Incorporated additional functions:
 - DNB correlations for design applications
 - ✓ WRB-1/WRB-2
 - Fuel thermal properties for design applications
 - ✓ Accommodate degradation effect of thermal conductivity of the fuel with burnup
 - Options added for hot spot PCT analysis after DNB
 - More user-friendly interfaces

Compliance with VIPRE-01 SER



- Code extension and application comply with NRC-issued EPRI VIPRE-01 SER
- SER conditions are discussed and addressed in the Topical Report:
 - Model options used for licensing analysis must be justified
 - ✓ Justification for model options are described with sensitivity studies and/or benchmark with NRC approved codes
 - Newly introduced CHF correlations must be validated
 - ✓ WRB-1/WRB-2 correlations are qualified by VIPRE-01M analysis of DNB test data
 - ✓ Original DNBR correlation limit of 1.17 is conservative for VIPRE-01M analysis of Mitsubishi fuel

Qualification for Design Application



- DNBR results are similar or conservative in comparison with NRC approved codes
 - Steady state analysis results are compared against THINC code results for various plant conditions
 - Typical locked rotor analysis results (DNBR/PCT) are compared against FACTRAN and THINC code results

Conclusion

- MHI thermal design methodology consists of:
 - RTDP
 - VIPRE-01M
 - WRB-1 and WRB-2 correlation
- VIPRE-01M is an extension of VIPRE-01.
- The VIPRE-01M model options selected for the licensing analysis are well-accepted and conservative
- WRB-1 and WRB-2 correlations and their original DNBR correlation limit of 1.17 are conservative for Mitsubishi fuel in conjunction with VIPRE-01M
- In summary, the MHI methodology is applicable to the core T/H design analyses and all non-LOCA Safety Analysis relevant to DNB



Our Technologies, Your Tomorrow



Presentation to the ACRS Subcommittee

**Topical Report MUAP-07009,
Thermal Design Methodology (VIPRE-01M)
Safety Evaluation**

January 15, 2013

NRC Staff Review Team

Technical Staff

- ♦ **Joshua Kaizer**
NRR, Nuclear Performance and Code Review Branch
- ♦ **Anthony Attard** (retired)
NRR, Nuclear Performance and Code Review Branch
- ♦ **Dan Hughes**
Consultant, Information System Laboratories
- ♦ **Jeff Schmidt**
NRO, Nuclear Performance and Code Review Branch

Project Manager

- ♦ **Ruth Reyes**
NRO, Division of New Reactor Licensing

Overview of Staff Review Process

- Staff used SRP 15.0.2 *Review of Transient and Accident Analysis Methods* to review MUAP-07009.
 - ♦ Staff relied on the previous SER for VIPRE-01 and other similar approvals of VIPRE-01 (Westinghouse, Duke, Dominion).
- Staff issued five rounds of RAIs and performed two Quality Assurance audits.
- Staff observed DNB testing at the KATHY loop in Germany.

Overview of MUAP-07009

- Describes VIPER-01M and its applicability to PWRs
 - ♦ VIPRE-01M is EPRI's VIPRE-01 (previously approved) with minor changes.
 - ♦ VIPRE-01M is used to perform non-LOCA transient and accident analysis for the US-APWR.
- Topical Report provides details on the following:
 - ♦ Core Modeling
 - ♦ Transient Fuel Rod Modeling
 - ♦ Thermal-hydraulic models used
- VIPRE-01M is consistent with previously approved versions of VIPRE-01.

VIPRE-01M

- Subchannel code used to predict transient behavior.
 - ♦ Usually used for predicting margin to DNB.
 - ♦ Can be used for PCT analysis (e.g. Locked Rotor).
- US-APWR is very similar to a standard PWR.
 - ♦ No challenges in the review of VIPRE-01M due to the reactor type (typical PWR).
- VIPRE-01 was approved generically, but each vendor must justify the specific models used.
 - ♦ MHI listed the models used and provided some justification.
 - ♦ Ultimately, the justification for the selection of thermal-hydraulic models is the accurate prediction of data, which was accomplished through the CHF testing.

VIPRE-01M Validation

- DNB Test Data
 - ♦ Need to validate the DNB predictions with the same computer code and same models.
 - ♦ Need to validate that the DNB model can be used to predict the DNB performance of a specific fuel type.
 - ♦ Test data spanned the application range of WRB-1 and WRB-2 CHF models (and some outside the range).
- MHI used the KATHY facility in Germany to confirm the applicability of the WRB-1 and WRB-2 DNB models for US-APWR fuel.
- The tests did confirm that the WRB-1 and WRB-2 DNB models could be used to conservatively predict the CHF performance of US-APWR fuel.

QA Audit

- MHI is a “new vendor” to the NRC, therefore we performed two QA audits
 - ♦ M-RELAP-5 and VIPRE-01M audit focused on the QA aspects used to modify the codes.
 - ♦ VIPRE-01M audit focused on the QA aspects used to exercise the codes.
- No significant issues were discovered.
 - ♦ One issue which lead to a condition and limitation in the SER was use of a non-frozen version of VIPRE-01M during some of the analysis.

Conclusions

- MHI Thermal Design methodology is acceptable for licensing analyses.
- VIPRE-01M is for performing AOO and accident analysis.
- WRB-1 and WRB-2 are acceptable models for predicting the CHF behavior of the US-APWR fuel.