

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, April 7, 2016

Work Order No.: NRC-2302

Pages 1-214

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

633RD MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

THURSDAY

APRIL 7, 2016

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:32 a.m., Dennis C.  
Bley, Chairman, presiding.

COMMITTEE MEMBERS:

- DENNIS C. BLEY, Chairman
- MICHAEL L. CORRADINI, Vice Chairman
- PETER RICCARDELLA, Member-at-Large
- RONALD G. BALLINGER, Member
- CHARLES H. BROWN, JR. Member
- DANA A. POWERS, Member
- HAROLD B. RAY , Member
- JOY REMPE, Member

1 GORDON R. SKILLMAN, Member

2 JOHN W. STETKAR, Member

3

4 DESIGNATED FEDERAL OFFICIAL:

5 CHRISTOPHER BROWN

6 PETER WEN

7

8 ALSO PRESENT:

9 STEVE BLOSSOM, STP\*

10 AL CSONTOS, NMSS

11 KRISTOPHER CUMMINGS, NEI

12 STEVEN DOLLEY, Public Participant\*

13 TIMOTHY DRZEWIESCKI, NRO

14 DARRELL DUNN, NMSS

15 RUSSEL FELTS, NRR

16 CJ FONG, NRR

17 STEPHEN GEIER, NEI

18 ANNE-MARIE GRADY, NRO

19 PHIL GRISSOM, SNC

20 WAYNE HARRISON, STP\*

21 MICHELLE HART, NRO

22 THOMAS KINDRED, Westinghouse

23 ROBERT KITCHEN, Duke Energy

24 STEVEN LAUER, NRR

25 MARK LOMBARD, NMSS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 JOHN McKIRGAN, NRO  
2 MALCOLM PATTERSON, NRO  
3 ANDREW PFISTER, Westinghouse  
4 PAUL PIERINGER, NRO  
5 ROBERT ROCHE-RIVERA, NRO  
6 STEPHEN SMITH, NRR  
7 BOYCE TRAVIS, NRO  
8 ANDREA D. VALENTIN, Executive Director, ACRS  
9 BERNARD WHITE, NMSS  
10 EMMA WONG, NMSS  
11 JACK ZHAO, NRO

12

13 \*Present via telephone

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

TABLE OF CONTENTS

Opening Remarks by the ACRS Chairman . . . . . 5

AP1000 Generic Design Changes . . . . . 9

Break

Regulatory Guide 1.229 . . . . . 85

Spent Fuel Storage and Transportation . . . . . 136

Adjourn

## P R O C E E D I N G S

8:35 a.m.

CHAIRMAN BLEY: The meeting will now come to order. This is the first day of the 633rd meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following: AP1000 generic design changes, Regulatory Guide 1.229, spent fuel storage and transportation, and preparation of ACRS reports.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Peter Wen is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests to make oral statements from members of the public regarding today's sessions.

There will be a telephone bridge line, and it sounds as if there is. And if we can get that -- okay. Thank you. There is a telephone bridge line.

To preclude interruption in the meeting, the phone will be placed in the listen-in mode during the presentations and committee discussion. Sounds like we've done that -- no, not yet.

A transcript of portions of the meeting is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being kept, and it is requested that the speakers use  
2 one of the microphones, identify themselves, and speak  
3 with sufficient clarity and volume so that they can be  
4 readily heard.

5 I also wanted to make you aware that this  
6 meeting is being webcast with the ability to view our  
7 presentation slides on the web.

8 Those of you on the bridge line who may  
9 want to do that, can dial into the bridge line or  
10 connect through the NRC's public meeting website and  
11 click on the link.

12 This does work and everyone who I've heard  
13 from says the sound is much better there than on the  
14 bridge line. So, it's recommended. If you have  
15 trouble, please call our office.

16 The Committee would like to introduce and  
17 welcome four invited subject matter experts; Dr.  
18 Margaret Chu, Walt Kirschner, Jose March-Leuba --  
19 they're all here, he's over here -- and Matt Sunseri.

20 At this time, we'll continue with the  
21 meeting and I think Harold is up first, right?  
22 AP1000. Harold, that's yours.

23 MEMBER RAY: Thank you, Mr. Chairman.

24 As you say, our agenda refers to this as  
25 AP1000 Generic Design Changes. You will find that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentations, though, indicate more precisely that  
2 they are changes that are being proposed for the Levy  
3 Nuclear Plant COLA. They are generally applicable,  
4 but we will be discussing the application to Levy  
5 today.

6 We had a full-day subcommittee meeting on  
7 April 5th, just two days ago, and we, therefore,  
8 obviously had the benefit of more information that  
9 will be -- than will be presented here today.

10 We also had the benefit of the  
11 participation of our consultant, Dr. Bill Shack. Bill  
12 has been very aggressive in turning around a draft of  
13 his report to us already. But because of the short  
14 time frame, he will be able to participate as he  
15 wishes, or as any of the members may wish to inquire  
16 from him, on a phone line that's been established for  
17 that purpose here today.

18 We will be hearing from the AP1000  
19 certificate holder, Westinghouse, and their -- the  
20 COLA applicant, Duke Energy, as well as from the  
21 staff. And we'll hear from the applicants initially,  
22 but I'd like first to give a chance for the staff to  
23 make any opening remarks that they wish to make.

24 And so, John McKirgan will please do that  
25 for us.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MCKIRGAN: Thank you, Committee Sub-  
2 chair Ray and members of the Committee. I'm John  
3 McKirgan. I'm Chief of Licensing, Branch IV, the  
4 AP1000 Licensing Branch. I'll be very brief, because  
5 I know we want to reserve a great deal of time for the  
6 presentations.

7 I wanted to thank the Committee and  
8 especially extend thanks to Subcommittee Chair Ray and  
9 the ACRS staff, Peter Wen.

10 The Committee made exception and  
11 accommodated the staff greatly in the scheduling of  
12 the subcommittee meeting on the 5th and we very much  
13 appreciate that.

14 The staff's been working very diligently  
15 to finish our SER for the Levy application as we move  
16 towards completing that review activity and the  
17 subsequent activities that will follow potentially  
18 culminating in a mandatory hearing. So, I do wish to  
19 appreciate the Committee's indulgence of us.

20 We're looking forward to some very good  
21 presentations today. We've had a great deal of  
22 interaction at the full-day subcommittee. the staff  
23 will move very agilely and efficiently, hopefully,  
24 throughout presentation materials.

25 And with that, I'll turn it back to you,

1 Mr. Ray.

2 MEMBER RAY: Thank you, John. Terminology  
3 may be a challenge for us at times here, because we've  
4 got -- in some measure we're allowing new grounds for  
5 many of us, anyway.

6 I made reference to the fact that these  
7 are called "generic changes," but actually they're for  
8 Levy specifically here. They are referred to as  
9 "design changes." You'll hear them also referred to  
10 as "departures." There's one other term that comes up  
11 from time to time, it's "exemption."

12 I recommend you don't let any of those  
13 different terms and others that may seem a little  
14 confusing bother you. But if you have any questions,  
15 just ask.

16 There are five exemptions which include  
17 six departures, and that will be elaborated, I think,  
18 in the staff presentation.

19 Anyway, with that, we should begin and  
20 I'll ask Mr. Kitchen and whoever else he wishes to  
21 bring to the front table, please, and to begin their  
22 presentation to us.

23 (Pause.)

24 MR. KITCHEN: Good morning, again. I'd  
25 also like to express appreciation to the ACRS for this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important, quick turnaround here to get us in front of  
2 the full committee.

3 As John and Mr. Ray indicated, we spent  
4 the full day Tuesday going through the items we're  
5 going to discuss today in more detail, obviously, than  
6 we will plan to do or had the time to do today.

7 I'm Bob Kitchen, Licensing, Duke Energy.  
8 We have Andy Pfister, who's the Manager of Systems  
9 Integration with Westinghouse. And Tom Kindred, who  
10 is a Fellow with Systems Integration at Westinghouse  
11 as well.

12 So, we're going to step through the  
13 material and cover the items that we're implementing  
14 as changes. As Mr. Ray indicated, these are all  
15 departures and also exemptions.

16 The condensate return we'll talk about  
17 first. Condensate return is a change to -- that  
18 affects the passive arch or cooling capability of the  
19 AP1000.

20 We needed to make a design change. As was  
21 discovered during the review of the Westinghouse  
22 AP1000 in the United Kingdom, there were questions  
23 about how much condensate return and how do you know?

24 And in looking into that in depth, it was  
25 determined that the previously estimated amount was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not accurate. In fact, it was considerably lower.  
2 So, there needed to be changes to meet that assumption  
3 that were required to support the design, which  
4 affected primarily the ability to get to 420 degrees  
5 in 36 hours and, also, as you'll see, the long-term  
6 operation of the system.

7 The impact of that was significant in that  
8 it resulted in the inability to meet the licensing  
9 basis, but it does not result in an inability to meet  
10 the function of the system since we could use ADS and  
11 open loop cooling to meet the cooling requirements of  
12 GDC-34.

13 The change really amounts to, as you would  
14 imagine, design changes in hardware to increase the  
15 collection of condensate and improve the routing of  
16 the condensate back to the in-containment refueling  
17 water storage tank, or IRWST, which included  
18 downspouts, gutters and some interference routing to  
19 reduce interference and improve the condensate  
20 collection and return.

21 So, again, the reason for the change is  
22 that we couldn't meet the licensing basis without  
23 implementing those changes.

24 Looking briefly at what are the  
25 requirements, the requirements are described in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Regulation GDC-34 specifically.

2 As you can see here, the requirement is  
3 that the system have enough capability to remove heat  
4 to protect the fuel and the reactor coolant system  
5 boundaries. And that's the fundamental requirement,  
6 of course, to the redundancy of the system provided by  
7 the close loop end/open loop portions. And the open  
8 loop portion was never affected.

9 There was also a SECY, which is a staff  
10 policy, Commission policy, on safe shutdown. And in  
11 that SECY, which is specifically 94-084, it describes  
12 420 for passive plants as being determined to be a  
13 safe, stable condition.

14 As it goes on to describe, it's not the  
15 only condition. There could be -- in fact, there have  
16 been a variety of conditions that have been used for  
17 safe shutdown. So, there are other conditions that  
18 would meet the requirements of safe shutdown.

19 And specifically, also, the criteria for  
20 safe shutdown and the passive system capabilities  
21 could be demonstrated by safety analysis and that show  
22 the system's capability to meet that requirement and  
23 how it would protect, as we mentioned earlier, the  
24 fuel and reactor coolant system boundary.

25 The problem also is that the DCD Revision

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 19, which of course is the certified design in Part 52  
2 appendix D, had some inconsistencies in it. There  
3 were descriptions in the certified design under design  
4 basis -- safety design basis that stated that it could  
5 cool to 420 in 36 hours.

6 And also that there were statements in the  
7 DCD that the system performance could be maintained  
8 for an indefinite period. Extremely bad choice of  
9 words, but "indefinite" of course implying that so  
10 long you don't need to worry about it.

11 We needed to revise that to reflect  
12 correctly what is the safety design requirement,  
13 functional requirements for that system performance,  
14 and also clarify and specify what the duration was for  
15 long-term operation. And as you'll see, we determined  
16 that was 14 days duration, at least.

17 There were a number of issues addressed on  
18 how this was being evaluated. As this thing evolved  
19 and we worked through it, Westinghouse basically  
20 stepped back, which was a very good thing, stepped  
21 back and said, let's reconsider how we're doing the  
22 calculations and evaluations that support the system  
23 design basis.

24 They really started, you might say, with  
25 a clean sheet of paper and said, how should these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluations be done?

2           There were -- there was an error found.  
3 There were a series of calculations, four  
4 specifically, that involved WGOETHIC and LOFTRAN, which  
5 are computer model systems, and also interspersed in  
6 there the use of a spreadsheet hand calculation model  
7 were certain elements of that.

8           So, looking at that, it was determined  
9 that the spreadsheet use could be eliminated and  
10 basically have a handoff from WGOETHIC and LOFTRAN to  
11 address the consideration. So, it improved the model  
12 in terms of eliminating an unnecessary handoff.

13           Probably any time you've got a validated  
14 computer model that you can use instead of a  
15 spreadsheet hand calculation, that's better.

16           It also simplified the method. And by  
17 using LOFTRAN and WGOETHIC, these are approved safety-  
18 related codes. So, all in all an overall improvement.

19           There were some considerations and  
20 concerns with the use of LOFTRAN specifically in  
21 looking at the system, as we've looked at it in great  
22 detail over the period of time we've been working on  
23 this.

24           There were concerns raised about what the  
25 impact would be of heat loss from the components in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the reactor system, most dominantly the pressurizer.

2 A lot of heat loss that could occur and  
3 they were concerned with what would be the impact to  
4 potentially the loss of sub-cooling in the reactor  
5 coolant system and two-phase flow situation.

6 And besides the concern of how do you deal  
7 with that if that occurs, specifically in the modeling  
8 the concern was the LOFTRAN doesn't model effectively  
9 and can describe in detail, but it doesn't model  
10 effectively the two-phase flow situations.

11 VICE CHAIRMAN CORRADINI: Can I ask a  
12 question somewhere in here about the experiments that  
13 are the basis of this?

14 So, for the parasitic losses when we were  
15 together at the subcommittee, you indicated that  
16 experiments -- recent experiments were done to try to  
17 get a feeling for the actual parasitic losses, versus  
18 what you guys are conservatively assuming.

19 So, is -- just to be clear, those are  
20 mainly from support plates and beams primarily?

21 MR. KITCHEN: (Shakes head.)

22 VICE CHAIRMAN CORRADINI: So, are those  
23 designs fixed --

24 CHAIRMAN BLEY: I'm sorry, we need words  
25 for the transcript.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. KITCHEN: That's correct.

3 MR. PFISTER: That's correct.

4 VICE CHAIRMAN CORRADINI: Oh, good.

5 So, are those designs of those support  
6 plates and beams finalized enough that you can then  
7 make the connection between what you measure and then  
8 what you conservatively bound in the calculation so  
9 that there's not going to be a change in the design  
10 and then potentially a change in the data?

11 MR. PFISTER: That's correct. And so, one  
12 of the things that I talked about on Tuesday is we  
13 looked at this from interface control perspective.

14 And one of the root causes to this issue  
15 and some of the others were how we're controlling the  
16 interface between physical plant design and the global  
17 plant analyses such as this.

18 So, one of the things we've done in  
19 completion of this modeling and analysis is put in an  
20 allotment for future potential attachment plates that  
21 could be added to the containment vessel to  
22 conservatively bound where we think we'll end up.

23 And what we do is, we manage that  
24 allotment very closely between our system designers  
25 and our mechanical designers. So, we have a positive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control mechanism in place, you know, to make sure  
2 we're constantly watching that, you know.

3 One of the other things, and Bob touched  
4 on it very briefly and -- when he talked about the  
5 physical design changes that had been implemented, is  
6 for -- we actually went and rerouted some hydrogen  
7 sensors and the cabling that was associated with that  
8 to remove those attachment plates from the vessel to  
9 further help, you know, promote a higher return rate.

10 VICE CHAIRMAN CORRADINI: So, it's not  
11 just a change in design, but you also have an  
12 allotment about numbers.

13 MR. PFISTER: Correct.

14 VICE CHAIRMAN CORRADINI: Okay. All  
15 right. Thank you.

16 MR. KITCHEN: Okay. So, we did do a  
17 review of the impact of heat loss. There was a  
18 comparison using LOFTRAN with another code, which is  
19 not fully qualified to be used, you know, as a safety  
20 basis code, but the RELAP5 code was used to do -- as  
21 a validation of the heat loss impact, because the  
22 RELAP code models the two-phase flow effectively.

23 And the conclusion then, conservatively,  
24 that the LOFTRAN was appropriate to use, which --  
25 assuming adiabatic conditions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Also in response to staff request  
2 typically the design basis accident analysis  
3 terminates when you reach a stable condition. And for  
4 these, it was, you know, in the neighborhood of six to  
5 12 hours and that analysis terminated depending on  
6 what you were looking at.

7           So, the staff requested that we extend  
8 that analysis out for the full 72-hour duration  
9 required by the regulation to the -- for the accident  
10 analyses. And that was done and proved that the  
11 system performance met requirements.

12           The other thing was the determination of  
13 safe shutdown to reach 420 in 36 hours. And as it was  
14 done for DCD Revision 19, that analysis was done using  
15 a -- we use the term "conservative non-bounding,"  
16 "best estimate," more realistic, whatever terminology  
17 is -- you feel most comfortable with, but basically a  
18 conservative, non-bounding analysis to show that we  
19 could reach 420 in 36 hours and maintain that.

20           Then the question was how long? And in  
21 our -- we defined that duration in our application as  
22 greater than 14 days. I believe the analysis actually  
23 shows it much longer than that, but a 14-day duration  
24 for a long-term operation is certainly adequate. And  
25 then we also looked at operational impacts and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recovery.

2 So, that's where we're at in terms of the  
3 changes regarding condensate return and those are  
4 reflected, as Mr. Ray indicated, in the Levy Final  
5 Safety Analysis Report, the COLA that we've submitted.

6 And the conclusion is in the separation  
7 that we've made, is to show that under design basis  
8 analysis assumptions the system can maintain the plant  
9 in a safe, stable condition meeting the GDC-34  
10 regulatory requirements for at least 72 hours.

11 And that with a conservative, non-bounding  
12 analysis we can demonstrate 420 in less than 36 hours  
13 for at least 14 days. And that the use of the LOFTRAN  
14 for -- with adiabatic assumptions is appropriate.

15 So, this just compares what's in DCD  
16 Revision 19 as compared to what we have in the Levy  
17 FSAR. And you can see it's just a -- it really  
18 repeats what I've already said, but the intent here is  
19 just to show you one graphical or tabular format, what  
20 has changed in the Levy FSAR relative to the certified  
21 design.

22 That's all we're going to cover on  
23 condensate return, unless there are questions, and  
24 then we'll go through the other changes that we have.  
25 Andy is going to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PFISTER: Yes.

2 MR. KITCHEN: First, we're going to cover,  
3 I think, the testing with regard to --

4 MR. PFISTER: As a follow-up to Tuesday's  
5 questions, we did put a few slides in here to cover  
6 what we're calling our Phase 1 and Phase 2 testing.  
7 And so, my colleague, Tom Kindred, is going to spend  
8 a few minutes to walk through that.

9 MR. KINDRED: So, as we discussed on  
10 Tuesday, the Phase 1 testing was a long section of the  
11 containment vessel coated with an inorganic zinc  
12 coating. It had a film distribution system at the top  
13 of the plate to develop a uniform film flow.

14 The film was allowed to flow down the  
15 length of the plate and encounter weld seams, the  
16 attachment plates, beams, structural supports, et  
17 cetera, that are in the plant geometry that would be  
18 responsible for the parasitic losses that we use to  
19 determine the 18 percent loss on the containment  
20 vessel shell. We did conduct that testing over the  
21 range of plant film Reynolds numbers.

22 And then for the dome rainout phenomena,  
23 the losses there were taken from the literature and we  
24 assumed a hundred percent loss for inclination angles  
25 less than or equal to 12 degrees.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Next slide.    So, we did the -- we  
2   developed a Phase 2 test facility as well.   This  
3   facility, it's important to know, was not utilized.  
4   It was not utilized to justify the analysis  
5   assumptions in the licensing submittal.

6           The facility was really -- we developed  
7   the test facility and the test program, because we  
8   believed there was a lot of margin in what we had done  
9   for the Phase 1 testing and we kind of wanted to  
10  capture that for future improvement efforts.

11           The facility was an 8.5-foot diameter, 16-  
12  foot height, steel containment vessel.  It had a rated  
13  pressure of approximately 60 psi gauge, which is  
14  consistent with AP1000 and 59 psi gauge.  The rated  
15  temperature was approximately 310 degrees.  AP1000 was  
16  300 degrees.

17           So, we had a pressure and temperature  
18  scale test facility that was indicative of the AP1000  
19  design conditions.

20           VICE CHAIRMAN CORRADINI:  This is the  
21  upper -- this models the upper dome region above the  
22  deck?

23           MR. KINDRED:  Yes, and the side walls.  It  
24  had actually a plate on the inside that could be  
25  manipulated so the inclination angle could be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controlled during the experiment so you could change  
2 it from zero all the way up to 90.

3 VICE CHAIRMAN CORRADINI: Okay.

4 MR. KINDRED: The plate also -- what we  
5 did, the plate actually was -- had a labyrinthine  
6 backing on it so we could provide through a header  
7 system cooling flow into the backside of the plate so  
8 that we could -- and then we could measure MDOT and do  
9 an energy balance to ensure we had achieved --

10 VICE CHAIRMAN CORRADINI: That seems  
11 familiar.

12 MR. KINDRED: Yeah, it does. I'm sure it  
13 does. I mean, yeah, so we could make sure we got the  
14 prototypic surface fluxes for the film behavior.

15 What we believed was that when we got to  
16 elevated temperatures, that the -- so, the Phase 1  
17 testing was done at rather colder conditions with  
18 temperature ranges between 70 and 120 degrees  
19 Fahrenheit.

20 What we believed when we went to elevated  
21 temperatures was as the surface tension was reduced at  
22 the elevated temperatures, you would get a reduction  
23 in the cohesive forces and you would get better  
24 wetability.

25 The film would have a greater tendency to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stay attached to the surfaces, it would have a smaller  
2 tendency to detach, and so we would see higher -- or  
3 lower losses or higher return rates back to the IRWST  
4 as a result of this testing.

5 Next slide. So, what we found in the  
6 elevated temperature test, what we believed in any  
7 improvements we thought we would see, we did see.

8 We saw ten percent losses at the 12-degree  
9 weld seams. So, there were three weld seams in the  
10 plant on the CVF, the containment vessel upper dome.  
11 There's one at 5.8 degrees, one at 12 degrees and one  
12 at 33 degrees.

13 Currently, the analysis assumes, again,  
14 for all inclination angles of 12 degrees or less, a  
15 hundred percent losses. What we found was that at the  
16 5.8-degree inclination angle at that weld seam, we did  
17 see high losses, about a hundred percent. But once we  
18 got down to 12 degrees for the heat fluxes in the  
19 range of the first 30 days of the station blackout  
20 event, we only saw about 10 percent losses.

21 The analysis currently assumes a hundred  
22 percent. So, we saw a 90 percent improvement in  
23 margin from that loss factor on the CV shell.

24 And then we saw zero percent losses for  
25 the 33-degree weld seam over the range of expected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 heat fluxes.

2 So, again, we assumed the hundred percent  
3 losses for the rainout phenomenon from the 12-degree  
4 inclination angle or less. And we also assumed that  
5 for the weld seams encountered for inclination angles  
6 less than 12 degrees.

7 What we did also see was that for the flat  
8 plate -- so, we ran about 209 experiments at this test  
9 facility. We had a large variability in flat plates.  
10 We looked at --

11 CHAIRMAN BLEY: Just hold for a minute,  
12 please.

13 (Audio difficulties.)

14 (Discussion off the record.)

15 CHAIRMAN BLEY: Okay. I think we're able  
16 to resume.

17 MR. KINDRED: Okay. So, yeah, what we saw  
18 for the flat plate test was that for inclination  
19 angles less than four degrees we did not see losses.  
20 And so, that was, again, we're assuming a hundred  
21 percent from 12 degrees. So, that was a marked  
22 improvement as well from the losses we had assumed in  
23 the analysis and based on the Phase 1 testing.

24 What we found -- one of the things we  
25 didn't foresee in an improvement or enhancement that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurred as a result of this was the behavior of the  
2 film.

3 So, in the Phase 1 testing we assumed a  
4 fully-developed film via a film distribution system.  
5 And so, there are additional phenomena that are --  
6 exist in a fully-developed film.

7 You have the inertial instability or what  
8 Bancroft called the long-wave instability. It's the  
9 rippling waves that occur across the surface of the  
10 film and what gives rise to the wavy laminar  
11 classification of film flow.

12 When we went to the elevated temperatures  
13 and used the steam source, we did not see the  
14 existence of the long-wave instability. And so, the  
15 rivulet behavior without the long-wave instability or  
16 the inertial instability, the film had a much greater  
17 tendency to remain attached.

18 So, for -- in the analysis where we saw --  
19 we assumed that when the film encountered beams and  
20 structures, that that was immediately lost. If there  
21 was a horizontal structure orthogonal to the surface  
22 of the film or to the film flow transverse, we assumed  
23 all of it was lost.

24 And what we found was that when we were in  
25 the rivulet regime, the rivulet seemed to meander

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 around it. They would go around, stay attached to the  
2 film. And so, we saw for 90-degree inclinations or  
3 where the attachment plates were horizontal, which is  
4 indicative of the majority of the attachment plates on  
5 the containment vessel, we saw zero losses.

6 Even for the plates that had structural  
7 beams attached to them, the rivulet regime just wanted  
8 to remain attached. It probably had to do with -- or  
9 definitely had to do with the wettability of the  
10 inorganic zinc coating and the ability of the  
11 nonexistence of that inertial instability.

12 That inertial instability was what was  
13 causing a lot of the losses as the -- what would  
14 happen, we would watch the video of the Phase 1  
15 testing. And as the flow fell down, you -- it was a  
16 periodic loss. And that periodicity was in the domain  
17 of that inertial wave instability.

18 So, when we lost it --

19 VICE CHAIRMAN CORRADINI: So, I have a  
20 question. Since you got into the fun details, so, you  
21 said you did in the Phase 2 testing, a myriad of  
22 experiments.

23 Did you repeat an experiment at the  
24 beginning, at the end, to see if the zinc oxide  
25 coating aging affected the wettability?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm very curious about the aging effects  
2 on the surface and how -- where it would -- I'm --

3 MEMBER POWERS: Especially --

4 VICE CHAIRMAN CORRADINI: I knew he'd say  
5 something.

6 MEMBER POWERS: Especially over time  
7 you're going to get carbonate on that zinc and the --  
8 it's going to behave very differently.

9 MR. KINDRED: So, we did not look  
10 specifically at variability over time in this test  
11 facility. However, in the AP600 testing for the  
12 wetting, the determination of the wetting of the  
13 outside of the containment vessel, which is, again,  
14 coated in an inorganic zinc coating, we saw greater  
15 wetability with aging on the inorganic zinc coating.

16 We didn't look into it --

17 MR. SPEAKER: Is that outside, right?

18 MR. KINDRED: -- as scientifically why.  
19 We just -- that's what we --

20 MEMBER POWERS: It doesn't inspire any  
21 confidence at all, because the chemistry outside and  
22 the chemistry inside are two different things to the  
23 portal zinc and the epoxy that's binding them all  
24 together. I mean, they're just not going to see the  
25 same thing and I am -- I personally am unable to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predict wetting, you know, microscopically based on  
2 what happens to it.

3 The way I understand, wetting is -- now,  
4 I'm hardly an authority on the subject. There may be  
5 people that can predict it. I, I mean, it seems  
6 peculiar to the chemical circumstances.

7 MR. KINDRED: Yes.

8 MEMBER REMPE: With all the different  
9 tests that you did, were there some tests that you did  
10 that were very similar that you could give us like,  
11 oh, we saw variability, two percent out of the ten  
12 percent or something like that? What was the accuracy  
13 of -- or repeatability of the results?

14 MR. KINDRED: So, the tests were very well  
15 controlled. The test uncertainty for the plates and  
16 the support beams, they were very well controlled.

17 There was a trough system that allowed  
18 basically collection of everything that got lost. And  
19 then right at the end of the structures where the film  
20 encountered an obstruction, there was a little gap  
21 where the film that remained attached could be  
22 collected and we were able to look at the ratios of  
23 the mass flow rates and the masses from what got lost  
24 to what did not get lost.

25 And so, we -- the uncertainty evaluation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the test reports, I believe, were around five  
2 percent.

3 MEMBER REMPE: Okay.

4 MR. KINDRED: And they were -- they did  
5 show very good repeatability and we did not have a  
6 large random uncertainty associated with the previous  
7 tests. And we did run, again, 209 tests. So, we ran  
8 many repeats.

9 And in the Phase 1 testing, one of the  
10 other reasons for the conservatisms and the losses was  
11 we didn't run a lot of the repeat tests. And so, we  
12 were subjected to the t-distribution uncertainties or  
13 the student distribution. So, that would, again, was  
14 another conservatism and why we ran the larger test  
15 database for the Phase 2 testing.

16 MEMBER REMPE: Thank you.

17 MR. KINDRED: You're welcome.

18 So, in conclusion, what we determined was  
19 that there was -- the conclusion of the Phase 2  
20 testing were that under more prototypic conditions at  
21 the elevated temperatures that the plant would  
22 actually be in, we would have seen a marked  
23 improvement or a marked reduction in the losses in the  
24 condensate return analysis.

25 MEMBER SKILLMAN: Tom, would you explain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what this image is, please?

2 MR. KINDRED: So, this image was actually  
3 one of the -- so, one of the configurations of the  
4 plate within the containment test vessel. And this is  
5 showing -- I believe this is an inclination angle of  
6 around 46 degrees.

7 And it's really meant to show just the one  
8 stream coming off, but this is like what you would  
9 see, an attachment plate with a support beam attached  
10 to it representative of what we would actually see in  
11 the plant.

12 MEMBER SKILLMAN: So, this is a lighted  
13 image inside at some pressure and at some temperature  
14 with actual condensation flowing off of one of the  
15 ledges.

16 MR. KINDRED: That's correct.

17 MEMBER SKILLMAN: Understand. Thank you.

18 MR. KINDRED: You're welcome.

19 MEMBER RAY: Given the discussion about  
20 the potential for uncertainty or unquantified  
21 uncertainty, could you repeat again in summary the  
22 margins that exist, either you or Andy --

23 MR. KINDRED: Sure.

24 MEMBER RAY: -- as between the data that  
25 would be inferred from the test results and what is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assumed in the analysis?

2 MR. PFISTER: Sure. So, in the analysis  
3 we assume a constant 18 percent loss of the water and  
4 steam delivered to the containment vessel.

5 Based on --

6 MEMBER RAY: And a full loss of water  
7 delivered to other surfaces --

8 MR. PFISTER: The full loss of water  
9 delivered to other surfaces. Based on the Phase 1  
10 testing where we went and actually took the data and  
11 did the analysis, the max loss we were seeing is on  
12 the order of 14 and a half percent.

13 So, with respect to the Phase 1 testing  
14 and the submittals we made to the staff, we're seeing  
15 around three and a half percent margin.

16 We didn't specifically go back and try to  
17 exactly quantify the additional benefit we'd get from  
18 the Phase 2 testing, but we believe it's on the order  
19 of another three to five percent benefit.

20 MEMBER RAY: By "benefit," you mean  
21 additional margin?

22 MR. PFISTER: Additional margin. So, a  
23 reduction in that loss fraction.

24 MEMBER RICCARDELLA: So, with the Phase 2  
25 testing if you took it into account, it's getting back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 closer to the original ten percent assumption, yes?

2 MR. PFISTER: Closer, but keep in mind the  
3 original ten percent assumption was 90 percent of all  
4 water that left the IRWST returned.

5 MEMBER RICCARDELLA: Ah.

6 MR. PFISTER: And, you know, we're using  
7 different terminology now, you know. This 18 percent  
8 loss fraction is water that gets to the vessel as --

9 MEMBER RICCARDELLA: All right. I  
10 understand.

11 MR. PFISTER: But later in time, yes.

12 MEMBER RAY: Okay. Now, we've got, as we  
13 said, we had five exemptions. This is the first one.  
14 So, we want to make sure any and all questions are  
15 answered, but otherwise we'll proceed on.

16 MR. PFISTER: Okay. So, I'll step through  
17 these other four issues this morning. So, the first  
18 item, post-accident main control room dose. So, it's  
19 a high-level summary statement of a problem we were  
20 trying to correct.

21 As part of an update to the main control  
22 room dose analysis and associated extended condition,  
23 we identified some non-conservatisms or just errors in  
24 our analysis. The biggest of which was we have a  
25 safety-related filtration unit that's located in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operator break room. And that infiltration unit was  
2 not considered as a source in our control room dose  
3 analysis.

4 We also identified that for our main  
5 steamline break we didn't model the most limiting  
6 scenario in terms of steam generator blowdown, which  
7 had an impact on, you know, main steamline dose  
8 analyses, as well as we identified some discrepancies  
9 in the underlying direct dose calculation. So,  
10 specifically where there had been an assumption that  
11 there was some shielding in the design that was never  
12 implemented.

13 So, to correct these conditions and bring  
14 the design back into compliance with GDC-19, shielding  
15 was added to the filtration unit in the main control  
16 room break area and that filtration unit was then  
17 accounted for as a source within our dose  
18 calculations.

19 We also looked at things such as lowering  
20 the tech spec for secondary site activity. So, you  
21 know, what we can still show as clearly bounded by  
22 plant operations to support the correction of the  
23 error associated with the main steamline break  
24 analysis. And we --

25 MEMBER RAY: Did that change in the tech

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 spec and will it have any effect on any other thing in  
2 that main control room dose calculations? One would  
3 think it would have.

4 MR. PFISTER: We saw no negative impact on  
5 anything else. It would have a positive impact in  
6 other places, but no adverse impact.

7 MEMBER RAY: All right.

8 MR. PFISTER: And we made a number of  
9 other, you know, detailed corrections and changes  
10 looking at things like setpoints for system actuation  
11 and whatnot.

12 And the sum result of all of these changes  
13 was actually a decrease in reported dose for similar  
14 events from Revision 19 of the DCD for our safety-  
15 related habitability system.

16 MEMBER RAY: Any questions on this  
17 exemption?

18 (No response.)

19 MR. PFISTER: All right. Second item --  
20 or third item, hydrogen venting inside containment.  
21 And so, AP1000 has an ITAAC that's associated with a  
22 very specific severe accident scenario.

23 And the severe accident scenario is a DVI-  
24 line break and -- double-ended guillotine DVI-line  
25 break with a specific sequence of automatic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depressurization system valve failure. So, these are  
2 failures to open.

3           And in this scenario, you can flood up the  
4 DVI-line and ultimately you would get a, you know,  
5 assuming a core melt subsequently, you would get a  
6 hydrogen release through the broken pipe that as it  
7 vents, will vent up through the PXS-A or PXS-B  
8 compartment, depending on where the break location is.  
9 And that hydrogen plume, that diffusion flame, could  
10 potentially challenge containment integrity.

11           So, what we did is we went in and did a  
12 revised analysis, you know. This was primarily driven  
13 by some physical changes in the plant configuration in  
14 those DVI compartments or really in the PXS-alpha and  
15 bravo compartments with respect to vent location. And  
16 we saw a potentially more limiting scenario based on  
17 these physical plant changes where we were potentially  
18 venting the hydrogen closer to the containment shell.

19           So, to reconcile this, we did a revised  
20 diffusion flame analysis and took the results of that  
21 revised diffusion flame analysis and did a containment  
22 survivability assessment. And that containment  
23 survivability assessment ultimately concluded that you  
24 have reasonable assurance of containment's  
25 survivability during this event.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And to put this a little in context based  
2           on the DCD PRA, this is a 60 to the minus nine-type  
3           event. And that number actually gets better when  
4           we've looked forward in some of the site-specific PRAs  
5           that we've done, you know, for some of the licensees.

6           MEMBER RAY: Well, leaving that aside,  
7           this was, though, a discrepancy that required --

8           MR. PFISTER: Correct. This was a  
9           discrepancy --

10          MEMBER RAY: Had to be addressed.

11          MR. PFISTER: -- that required an ITAAC  
12          revision.

13          MEMBER RAY: Yeah.

14          Okay. So, the upshot is that the  
15          assumptions that Andy's just described had to be  
16          changed from those that otherwise would have existed  
17          due to a development of the design internal to the  
18          containment, which caused the venting of one  
19          compartment to move the -- any hypothetical severe  
20          accident -- post-severe accident flame closer to the  
21          containment boundary and they've looked at that and  
22          found it acceptable.

23          MR. PFISTER: All right. The next item  
24          has to do with our protection of --

25          MEMBER POWERS: I'm a little slow here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You did an analysis. Why did it come out okay?

2 MR. PFISTER: Why did it come out okay?

3 So, this was a series of calculations. So, matrix and  
4 MAAP calculations to determine what is the source  
5 term. Based on that we did diffusion flame analysis  
6 and ultimately we took the temperature distribution  
7 from that diffusion flame analysis and did a  
8 structural evaluation.

9 And when we did that structural  
10 evaluation, we show we continue to meet Service Level  
11 C requirements for the containment vessel.

12 MEMBER POWERS: Okay. So, it comes out  
13 okay because you can -- you don't get as much heat  
14 flux on the wall, or because the wall conducts the  
15 heat far enough away that you don't get high  
16 temperatures on the wall?

17 MR. PFISTER: You do get high temperatures  
18 on the wall, but, you know, the stress is imposed as  
19 a result of those high temperatures don't exceed --

20 MEMBER POWERS: Just never got high  
21 enough to threaten any structural integrity.

22 MR. PFISTER: Yeah. And it's really a  
23 combination of during this event you have relatively  
24 low containment pressure. And so, even though you  
25 have high temperatures, it's a short duration burn

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coupled with relatively low containment pressures.

2 MEMBER POWERS: So, ultimately, the reason  
3 is how we define the accident and not inherent to the  
4 structure.

5 MR. PFISTER: And not a what? I'm sorry.

6 MEMBER POWERS: Not inherent to the  
7 behavior of the material. Clearly if I could define  
8 a high-pressure sequence and a long duration flame,  
9 then you get into trouble.

10 MR. PFISTER: Correct. But a DVI-line  
11 break, those aren't the consequences of a DVI-line  
12 break. And so, this is for one very specific  
13 accident. And so, a DVI-line break is not an event  
14 that challenges containment pressure boundary.

15 MEMBER RICCARDELLA: Excuse me, what is  
16 that acronym? DVI-line?

17 MR. PFISTER: Direct vessel injection.  
18 So, these are eight-inch --

19 MEMBER RICCARDELLA: Eight-inch Schedule  
20 160 lines?

21 MR. PFISTER: Yeah. So, the mass and  
22 energy associated with an eight-inch break is not  
23 limiting.

24 VICE CHAIRMAN CORRADINI: But just to get  
25 to Dana's question, so geometrically that's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compartment that that would have -- that pushes the  
2 flow towards the wall.

3 MR. PFISTER: That's correct.

4 VICE CHAIRMAN CORRADINI: That is a  
5 compartment which has the break, which then if  
6 hydrogen is generated, would push it towards the wall  
7 --

8 MR. PFISTER: Yeah.

9 VICE CHAIRMAN CORRADINI: -- in comparison  
10 to what it used to have been in the analysis. I just  
11 want to make sure we --

12 MR. PFISTER: In the previous analysis if  
13 you assumed a similar or the same consequential -- the  
14 same other failures and failures in ADS, you would  
15 have still had hydrogen venting through this  
16 compartment.

17 Based on the previous plant configuration,  
18 that venting would have occurred farther away from the  
19 containment vessel. The view factor would have been  
20 much lower and it was even easier to demonstrate  
21 containment survivability. A structural evaluation  
22 wasn't even required.

23 MEMBER RICCARDELLA: But as I recall, the  
24 stresses you calculated were like 15 ksi versus an  
25 allowable of 50.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PFISTER: Correct.

2 MEMBER RICCARDELLA: So, you probably  
3 could -- it probably could have survived a higher  
4 pressure in the containment, right, because of that  
5 margin.

6 MR. PFISTER: Yeah, but it's definitely,  
7 you know, depending on pressure, temperature and time.  
8 So, all three inputs need to be taken into  
9 consideration.

10 MEMBER RAY: Anything else?

11 (No response.)

12 MEMBER RAY: Okay.

13 MR. PFISTER: Okay. The next topic. flux  
14 doubling compliance with IEEE-603. So, this relates  
15 to our protection and safety monitoring system. So,  
16 our safety-related I&C system.

17 You know, to try to simply explain this,  
18 AP1000 has logic within the safety system to protect  
19 against flux doubling-type events.

20 This is a safety feature unique to the  
21 AP1000. So, you know, it's something that wasn't --  
22 hasn't necessarily been implemented within operating  
23 fleet's safety and protection systems.

24 And as part of implementation of that  
25 feature, we identified that we failed to meet one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the criteria within IEEE-603 that essentially allowed  
2 -- potentially allowed an operator, you know, to block  
3 that signal without the correct permissives.

4 And so, this was a relatively  
5 straightforward change within our PMS logic to bring  
6 it back in compliance with IEEE-603.

7 All right. So, the last item, main  
8 control room heat-up. Just a little bit on the  
9 background of the problem statement for main control  
10 room heat-up, we essentially -- this issue arose  
11 because of two items. One, that as part of the detail  
12 design -- detail design of the main control room and  
13 the main control room envelope, we saw an increase in  
14 the size and quantity of equipment in that room, which  
15 caused an increase in the heat loads within the room.

16 We also identified, you know, a more  
17 limiting, you know, very low probability transient  
18 where you could have a loss of HVAC. So, this is our  
19 active HVAC that didn't coincide to a loss of AC  
20 power. So, an event where you lose your safety -- or  
21 you lose your active HVAC, but you still have AC power  
22 for an extended duration that's causing those heat  
23 loads to be maintained within the control room.

24 To reconcile that, we implemented two-  
25 stage automatic load shed in the control room. That

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 first stage occurs simultaneously with activation of  
2 our safety-related habitability, our Victor echo  
3 Sierra system, VES.

4 That first load shed, sheds just small  
5 house loads. Things like, you know, kitchen  
6 appliances, coffee makers and a few of the business  
7 LAN networks. It does not shed any of the main wall  
8 panel information system within the control room.

9 If HVAC has not been restored within three  
10 hours, there's a second load shed that's implemented.  
11 That second load shed de-energizes those large wall  
12 panel displays which are one of the main heat sources  
13 within the control room.

14 And in implementation of that second load  
15 shed, all of this information that was available to  
16 the operators on those wall panel displays remains  
17 available to the operators at his RO consoles. So,  
18 the RO consoles are non-safety-related, but they  
19 continue to be powered throughout the entirety of this  
20 event.

21 And so, there isn't a loss of control by  
22 the operator, there isn't a loss of information that  
23 the operator has available to him during such an  
24 event.

25 So, ancillary things that went along with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this change is we did make two tech spec changes. So,  
2 one of the tech spec changes was associated with  
3 adding temperature requirements to coincide with  
4 initial conditions in the surrounding rooms.

5 The initial conditions in the surrounding  
6 rooms is an input to our GOTHIC analysis that looks at  
7 control room heat-up. And we also made a tech spec  
8 change to limit moisture content in those VES tanks to  
9 eliminate any concern associated with potential  
10 freezing at the regulator.

11 Ultimately, the analysis demonstrates that  
12 for the first seven days temperature in the control  
13 room is maintained below a wet-bulb globe temperature  
14 of 90 degrees. And what that coincides with is an  
15 unlimited operator stay time per NUREG-0700.

16 And so, we're demonstrating, you know, no  
17 change, you know, no restrictions on operator stay  
18 time in the control room, as well as no loss of, you  
19 know, information or control at the RO consoles.

20 CHAIRMAN BLEY: And this was based, as I  
21 recall, on historical high temperatures, four  
22 consecutive day high temperatures in the Levy area; is  
23 that right?

24 MR. PFISTER: So, the analysis assumes  
25 that for the first 72 hours of the event, the exterior

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature, the outdoor temperature is at the max  
2 safety limit of 115 degrees. And I think that's dry-  
3 bulb -- the dry-bulb temperature. And then from 72  
4 hours to seven days, we assume a diurnal temperature  
5 at the max safety -- at the max normal temperature.  
6 So, I think that's the one percent exceedance number  
7 of 101 degrees.

8 Those are standard plant values for AP1000  
9 that each applicant is required to meet. But when you  
10 compare those diurnal temperatures for four  
11 consecutive days to, you know, max temperatures, you  
12 would see in the Levy area they do bound.

13 CHAIRMAN BLEY: Thank you.

14 MEMBER STETKAR: Andy, I -- we had a  
15 little discussion at the subcommittee meeting about  
16 the load shedding and what was shed. And I understand  
17 that -- so, I went back and reread some things.

18 Does the current room heat-up analysis  
19 under conditions where normal ventilation is lost, but  
20 AC power remains available, does that analysis account  
21 for shedding all of the 24-hour battery loads at 24  
22 hours?

23 MR. PFISTER: It does not, because in this  
24 scenario you have AC power.

25 MEMBER STETKAR: Good.

1 MR. PFISTER: And so, you're not  
2 challenging your 24-hour batteries. They continue to  
3 be charged.

4 MEMBER STETKAR: And you know that?

5 MR. PFISTER: Yes.

6 MEMBER STETKAR: Okay. Thanks. Because  
7 when I read the SER, the SER seems to indicate that it  
8 does.

9 I know the old analysis under station  
10 blackout conditions obviously did because they went  
11 away, but the new analysis keeps those loads.

12 MR. PFISTER: Yes. As long as you have AC  
13 power --

14 MEMBER STETKAR: Yes.

15 MR. PFISTER: -- you're not challenging  
16 battery capacity.

17 MEMBER STETKAR: Right. Got it. Got it.  
18 Thank you. So, I'll ask the staff about the 24 hours.  
19 Thank you.

20 MR. PFISTER: I think that concludes the  
21 Duke and Westinghouse presentation.

22 MEMBER RAY: Well, we've got a couple  
23 minutes, so let me make a few other statements. I  
24 failed to mention that we had two subcommittee  
25 meetings in 2014 considering the first item that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned, the condensate return, when it was still  
2 under development in terms of the response, the  
3 condition and so on. But during those subcommittee  
4 meetings, we asked Duke and Westinghouse to address  
5 what I'll call the cause of the condition that we were  
6 looking at then.

7           And at the subcommittee meeting on April  
8 5th, both they and the staff provided a very  
9 comprehensive discussion of what then ensued not only  
10 with respect to condensate return, but also the other  
11 four things that we've talked about here relative to  
12 what was understood and learned from. And Andy made  
13 a comment about configuration control being enhanced  
14 as a result.

15           In any event, those -- that whole  
16 discussion of lessons learned, cause, extent of  
17 condition, applicability of QA, program requirements  
18 and so on was discussed at the subcommittee. But for  
19 reasons of time, not brought here to the full  
20 committee because it's a lengthy discussion, but it --  
21 they did respond to that concern that was, as they  
22 say, identified a couple of years ago and pursued it.  
23 And to some extent, these five things all then are a  
24 consequence of looking at issues such as this  
25 holistically and I wanted to make that part of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 full committee record that that was something that we  
2 did receive and discuss at length at the subcommittee.

3 I don't know if you guys have anything you  
4 want to add to what I just said.

5 MR. KITCHEN: Mr. Ray, Bob Kitchen. No,  
6 I don't have anything else to add. I think you've  
7 summarized it very well.

8 MEMBER RAY: Okay. Then if there's not  
9 anything more for Duke and Westinghouse, we'll turn  
10 the table over to the staff for their presentation.  
11 And they've got an extra ten minutes, it looks like.

12 (Comments off the record.)

13 MEMBER RAY: John, you can proceed when  
14 you're ready.

15 MR. MCKIRGAN: Thank you.

16 (Pause.)

17 MR. MCKIRGAN: So, good morning, members  
18 of the Committee. Thank you very much for this  
19 opportunity to present. I'm John McKirgan. I'm chief  
20 of Licensing Branch IV. I'm actually filling in for  
21 Don Habib, our lead PM on this, who has done an  
22 outstanding job of shepherding the staff through this  
23 process. He was called away unexpectedly, but the  
24 staff will demonstrate our agility and move forward.

25 With me today are Tim Drzewiecki, Boyce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Travis and Michelle Hart. They will be presenting the  
2 first few items. And then we will swap out for some  
3 other reviewers to fill in the next items and we'll  
4 move forward.

5 If I could just back up for a moment, as  
6 Mr. Ray just mentioned, there have been a number of  
7 subcommittee meetings on these topics and others. The  
8 last full committee meeting on this application was  
9 actually back in 2011.

10 So, the staff and the subcommittees and  
11 certainly the applicants have been very busy in that  
12 time. So, this is just a brief overview of some of  
13 the other subcommittee meetings and some of the other  
14 issues that we've addressed.

15 What we're going to talk about today, of  
16 course, are these major issues. There were six  
17 departures, I think we've got that clear now, and we  
18 will walk through these five issues and six  
19 departures.

20 The condensate return system of course  
21 had two separate departures, MCR dose, habitability,  
22 combustible gas control and the IEEE-603 flux  
23 doubling.

24 With that, moving smartly, again, I'll  
25 just go through our presenters. Boyce Travis and Tim

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Drzewiecki will talk about condensate return.  
2 Michelle Hart will speak to the control room dose.  
3 Boyce will come back again to talk about the control  
4 room heat-up.

5 At that point, we'll swap out reviewers  
6 and we'll bring in Anne-Marie Grady and Robert Roche  
7 to talk about the hydrogen ITAAC. And Jack Zhao will  
8 talk about the flux doubling logic.

9 With that, I will move quickly on and  
10 we'll turn it over to Tim and Boyce to walk us through  
11 the condensate return review.

12 MR. TRAVIS: And so, to briefly summarize  
13 the licensing impact associated with condensate  
14 return, this is the exemption that includes two  
15 departures. One departure summarizes the design  
16 changes associated with condensate return, which  
17 include the addition of gutter system, the gutter  
18 system on the polar crane girder and stiffener and the  
19 -- basically the guttering and routing changes made to  
20 the containment shell.

21 And then the second departure is  
22 associated with the language change from "indefinite"  
23 to "14 days" and some other associated language  
24 changes with that in Chapter 6 and 7.

25 As you can see, there are a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different chapters affected by this change, tech specs  
2 6, 15, 19 and the design changes in chapter 3.

3 So, the staff's findings with regard to  
4 containment impact for the condensate return change,  
5 this design change and associated analyses changes  
6 don't have any impact on the containment peak pressure  
7 analyses. Because for the purposes of maximizing  
8 pressure, the peak pressure analysis had some  
9 assumptions that are -- would not apply in the case of  
10 condensate return -- or minimizing condensate return.

11 There is no effects on the ability of the  
12 spargers, which are associated with ADS 1/2/3, to  
13 perform their function even in a reduced PRHR level,  
14 because the spargers are located about midway in the  
15 IRWST.

16 The containment flood-up level in the case  
17 -- in case you go to open loop cooling following the  
18 actuation of the PRHR HX after some period of time,  
19 the containment flood-up level is unchallenged. Even  
20 though the analysis made by Westinghouse increases the  
21 holdup volumes in containment slightly, there's  
22 sufficient head in containment to maintain open loop  
23 recirculation cooling.

24 And the calculated -- staff found the  
25 calculated condensate return rate in the long-term,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which is about 80 percent, based on testing and  
2 analysis acceptable.

3 When I refer to testing, staff is only  
4 basing their conclusions on what Westinghouse calls  
5 "Phase 1 testing." Staff was not made aware of any of  
6 the Phase 2 results. And those Phase 1 testing -- the  
7 conservative assumptions used include, as the  
8 applicant alluded to, a loss of a hundred percent  
9 above the 12-degree weld line, which is containment  
10 rainout, a hundred percent losses over beams that have  
11 a 90-degree attachment to the shell, and a variable  
12 loss rate over attachment plates that don't have a  
13 beam associated with them and that range is from about  
14 30 to 70 percent depending on the temperature and the  
15 flow rate over the attachment plate.

16 I'll turn it over to Tim to discuss the  
17 findings -- staff findings associated with the passive  
18 core cooling system.

19 MR. DRZEWIECKI: Staff reviewed the  
20 impacts on the passive core cooling system by looking  
21 at the decay heat removal and safety injection  
22 functions of that system.

23 Staff was able to find that Chapter 15  
24 analyses were not impacted, but there was an update to  
25 section 6.3 of the FSAR which would identify Chapter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 15 non-LOCA event and extend that out to 72 hours.  
2 That analysis showed that Chapter 15 acceptance  
3 criteria remained satisfied for a period exceeding 72  
4 hours.

5 Additionally, staff found that the  
6 condensate return rate was sufficient for the PRHR  
7 heat exchanger to meet its design requirement of  
8 cooling the RCS to below 420 degrees in 36 hours.

9 Additionally, staff found that the ability  
10 to transition to open loop cooling is retained as a  
11 backup through passive RHR.

12 Additional considerations that occurred  
13 during this review is the impact of the ambient heat  
14 losses during a design basis accident, as well as ADS  
15 equipment qualification.

16 Sensitivity studies have demonstrated that  
17 heat losses in the RCS, and from the pressurizer in  
18 particular, could result in a decrease in pressure to  
19 the point that subcooled margin is lost.

20 The applicant evaluated the timing and the  
21 impact of the loss of sub-cooling through a  
22 combination of analysis and experimental data. That  
23 evaluation demonstrated that a loss of sub-cooling  
24 would occur at a time that exceeds 72 hours.

25 Additionally, that evaluation demonstrated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that with passive RHR, will continue to function when  
2 the RCS pressure is reduced to saturation pressure.

3 Staff was able to make findings that there  
4 was no impact on Chapter 15 DBA analysis.  
5 Additionally, there was no impact on the safe shutdown  
6 analysis.

7 There was an update to the ADS actuation  
8 criteria. Staff found that that criteria established  
9 a diverse and reliable indication of reactor core  
10 cooling.

11 Similarly, staff was provided with  
12 information on the ADS equipment qualification such  
13 that they made reasonable assurance finding that open  
14 loop cooling can be established during an extended  
15 station blackout event.

16 MR. TRAVIS: And so to conclude, the staff  
17 findings associated with condensate return change --  
18 the staff findings that were made in September 2014  
19 with regards to the analysis changes were not impacted  
20 as a result of the methodology changes that  
21 Westinghouse discussed earlier. Which include that  
22 the Chapter 15 analyses remain bounding and were not  
23 impacting by the design change, and that the passive  
24 core cooling system is still capable of cooling the  
25 RCS to 420 degrees in 36 hours.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The addition of the consideration of  
2 ambient heat losses does not adversely affect the  
3 Chapter 15 analyses especially in the first 72 hours  
4 where ambient heat losses actually assist the system  
5 to perform its function.

6           A loss of sub-cooling is expected to occur  
7 within the first 14 days, but that would not degrade  
8 the performance of the PRHR to perform its function.  
9 And that's based on analysis and test data from the  
10 applicant.

11           And ultimately the transition to open loop  
12 cooling via ADS is retained as a backup to the PRHR  
13 and, thus, the staff finds the system acceptable.

14           MR. MCKIRGAN:     So, I believe that  
15 completes the staff's presentation on this topic.

16           MEMBER STETKAR:   John, let me ask you  
17 this. We had a little -- some discussion during the  
18 subcommittee meeting on it that the introduction to  
19 Section 21 of the SER, the statement is made that the  
20 staff evaluated each of the departures for impact on  
21 the probabilistic risk assessment. None of them have  
22 any impact on the quantification of core damage  
23 frequency or large release frequency.

24           And the end of that paragraph concludes  
25 that the staff finds that the cumulative risk impact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of these design changes and departures is negligible.  
2 We had some discussions about that.

3 Is the staff planning to change that  
4 paragraph in the SER?

5 MR. MCKIRGAN: So, if I could, first, let  
6 me ask Mr. Malcolm Patterson from the staff to speak  
7 to the substance of that.

8 MR. PATTERSON: I am Malcolm Patterson.  
9 I am in the Severe Accident and PRA Branch.

10 No, we do not plan to change that  
11 language. The staff continues to maintain that the  
12 change in risk due to these actual changes and the  
13 revision to the design is negligibly small.

14 It's important to make these changes.  
15 These changes are being made not because of the risk  
16 significance, but because they are necessary to either  
17 comply with regulation or to meet design objectives  
18 that the applicant committed to.

19 MEMBER STETKAR: The design certification  
20 PRA assumed that 90 percent of the water was returned  
21 to the IRWST. That was a fundamental assumption.  
22 That was the basis for the long-term operation of the  
23 passive RHR heat exchanger.

24 So, does anyone know if the design  
25 certification PRA had accurately evaluated the actual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 return to the IRWST for the certified design, what the  
2 design certification PRA risk value would have been?

3 MR. PATTERSON: It's difficult to make  
4 that assessment, because these are not commensurable  
5 factors in risk.

6 The mission time of the PRA is 24 hours.  
7 And the IRWST would not be empty within 24 hours even  
8 if the losses were much larger.

9 So, you're talking about a change in risk  
10 that's not being quantified and trying to assess its  
11 impact on the risk that has been quantified.

12 MEMBER STETKAR: I don't want to pursue  
13 this any further, because I -- it's -- to me, it's  
14 just -- I just don't -- I get too emotional about it.  
15 I'll just let the record stand on what was stated on  
16 the record.

17 MR. PATTERSON: Thank you.

18 MEMBER RAY: Anything else on condensate  
19 return?

20 (No response.)

21 MR. MCKIRGAN: So, with that, we'll move  
22 on to main control room dose and Michelle Hart will  
23 lead us through this topic.

24 MS. HART: So, back in July of 2014  
25 Westinghouse did come in with a presentation saying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that there were some discrepancies with the main  
2 control room dose. The main one that I found  
3 interesting was that it did not include the direct  
4 dose from the VES filter.

5 They have described the changes -- or the  
6 discrepancies this morning, earlier today. They  
7 included they needed to do some rework on the direct  
8 radiation contribution to the main control room for  
9 sources other than the VES filter, and also the main  
10 steamline break did not include the most limiting  
11 release scenario for the control room. It did include  
12 the most limiting release for the offsite doses.

13 The design changes include an exemption  
14 request and site-specific departure. And it revised  
15 all of the design basis dose analyses, it added a VES  
16 filter shielding and a related ITAAC for that filter  
17 shielding. It reduced the tech spec allowable  
18 secondary iodine coolant -- iodine activity  
19 concentration to account for the increase in the main  
20 steamline break mass release.

21 It revised radiation monitor setpoints so  
22 that the -- it would ensure that GDC-19 is met for all  
23 of the DBAs with some margin. And also changed the  
24 VES actuation signal name from "high-high" to "High-  
25 2."

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The changes to the DBA dose analyses  
2 included the direct dose from the VES filter including  
3 that in the total dose amount, changes in the  
4 shielding analysis methods used by the applicant, and  
5 there were additional analysis changes made to either  
6 increase the analysis margin to account for the  
7 additional dose that was from the VES filter to update  
8 methods or incorporate updated detailed design  
9 information.

10           Some of these changes also affected the  
11 offsite dose. So, there are revisions to all of the  
12 design basis dose analyses and all of the results --  
13 or most of the results for the control room doses, and  
14 offsite doses as well.

15           The majority of the doses did go down  
16 because of these changes. However, the rod ejection  
17 accident dose did go up because they changed a method  
18 that's a newer method that increased the amount of  
19 damage to the fuel that was assumed. It is an  
20 acceptable method. So, they just adopted a newer  
21 acceptable method.

22           The review methods that the staff used is  
23 we did some scoping calculations to compare to what  
24 they said the changes were. We audited their design  
25 packages. We audited their dose analysis packages for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the design basis accidents. And we also audited  
2 specific MCNP shielding input and output files to look  
3 at the -- both for the VES filter, a direct dose and  
4 for the streaming through penetrations and through the  
5 walls.

6 The staff did find the proposed changes  
7 are acceptable because they either used methods that  
8 were previously found as acceptable for the DCD, or  
9 they used methods that are in conformance with our  
10 guidance.

11 The other changes that were updated,  
12 detailed design information such as control room  
13 volume or control room ventilation flow rates, were  
14 just appropriately reflected or they reflect proposed  
15 site-specific changes to the design as noted in the  
16 departure.

17 The margin in the calculated main control  
18 room dose ensures compliance with GDC-19 for the use  
19 of the safety-related VES system. And the revised DBA  
20 dose analyses remain below the applicable dose  
21 criteria for estimated offsite doses.

22 CHAIRMAN BLEY: I want to interrupt and go  
23 back. I had to let this sift through my head for a  
24 minute, this risk discussion.

25 We heard one justification at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subcommittee meeting that didn't seem to make a lot of  
2 sense to me. We heard one today that says, well, the  
3 PRA only goes for 24 hours.

4 Well, a PRA is pretty well established,  
5 usually does a 24-hour time period. But if there are  
6 events beyond that that are important, it ought to  
7 look out at those.

8 Regardless of all that, the statement in  
9 question doesn't say the PRA this or the PRA that. It  
10 says we find that there's negligible change in risk  
11 and we heard that you don't know what the change in  
12 risk was. It just seems -- I agree with John on this  
13 one a lot. Softer language that says what you do know  
14 would make a lot more sense than something that so far  
15 nothing rationale seems to hold together.

16 MEMBER STETKAR: I think we could probably  
17 state that it does not increase risk.

18 CHAIRMAN BLEY: Very easily.

19 MEMBER STETKAR: But we don't know the  
20 delta from what was quantified -- well, what perhaps  
21 should have been quantified in the design  
22 certification PRA. We just don't know that.

23 MR. MCKIRGAN: Thank you. Anything --

24 MEMBER POWERS: And I'm sure we know that  
25 unfiltered in leakage is a problem for these control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rooms typically not at the design stage, not at the  
2 construction stage, but 20 years down the line.

3 Did you look at any of that?

4 MS. HART: The control room dose analyses  
5 do account for unfiltered in leakage both through the  
6 ingress and egress during this -- during the operation  
7 of the VES, and also through leakage through the  
8 walls. So, there's -- they do have a main control  
9 room testing program included in the technical  
10 specifications. So, they're going to surveil that.

11 MEMBER POWERS: So, they'll keep it so  
12 that the unfiltered in leakages could not slowly  
13 become a problem.

14 MS. HART: It is -- I'm sorry?

15 MEMBER POWERS: Does not become a problem  
16 over time.

17 MS. HART: It is not supposed to become a  
18 problem over time. It is a performance-based testing  
19 scheme, but, yes, there is a tech spec program for  
20 that.

21 MEMBER POWERS: What is the unfiltered --

22 MS. HART: I have it noted somewhere.

23 (Laughter.)

24 MS. HART: I do. I have to, right?

25 MEMBER POWERS: It's not a crucial number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for me to have.

2 MS. HART: I do not have that. I believe  
3 it is around the order of 10 CFM.

4 MEMBER POWERS: That would be --

5 MS. HART: It's a very low leakage control  
6 room because it's a bottled air system with, you know,  
7 isolation from the outside environment.

8 MEMBER POWERS: Yeah. Very well.

9 MR. MCKIRGAN: With that, I'll -- we'll  
10 take just a moment to swap out some staff and we'll  
11 bring up Anne-Marie Grady and Robert Roche and Jack  
12 Zhao to walk us through -- I'm sorry, my apologies.  
13 My apologies. We have one more, Boyce Travis on the  
14 control room heat-up. So, sorry guys.

15 MR. TRAVIS: Unless someone else wants to  
16 come up and give my presentation.

17 MR. MCKIRGAN: Boyce, please walk us  
18 through the --

19 MR. TRAVIS: So, yeah, I'll speak briefly  
20 about the staff's review associated with the load shed  
21 in the main control room heat-up analysis.

22 So, from the staff's perspective, there  
23 are two periods of interest for acceptable control  
24 room conditions. The first 72 hours where VES is in  
25 operation, the new heat loads which are reflected in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the DCD are reflected in the revised GOTHIC analysis  
2 which goes from a one-node control room to roughly  
3 200-node control room.

4 For that first 72 hours, the equipment  
5 qualification dry-bulb temperature, I think, is the  
6 limiting value and it has to remain below 95 degrees.  
7 And the main control room remain substantially lower  
8 than a wet-bulb globe temperature of 90 degrees during  
9 the first 72 hours.

10 Following that in the period between three  
11 and seven days, they bring in ancillary fans to blow  
12 outside air through the control room.

13 The applicant assumed a diurnal  
14 temperature curve with a peak of 101 degrees and a 15-  
15 degree delta between day and night, and a constant  
16 wet-bulb temperature of 82.4 degrees.

17 The staff performed an analysis of the  
18 temperatures in Tampa near the Levy site, which is the  
19 AHOT site near the Levy plant, found that those values  
20 were bounding.

21 Staff also looked at other AP1000 sites  
22 and found that the worst case wet-bulb globe  
23 temperature over -- so, the worst average wet-bulb  
24 globe temperature over four days and the worst single  
25 hour wet-bulb globe temperature were both bounded by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the applicant's assumptions.

2 And so, staff concluded that there was  
3 reasonable assurance that the main control room would  
4 remain below wet-bulb globe temperature of 90 degrees  
5 for seven days even under the worst case outdoor  
6 conditions, and it would be substantially lower under  
7 the expected conditions.

8 So, the human performance impacts  
9 associated with the design change are associated with  
10 the Stage 2 load shed of the Wide Panel Information  
11 System.

12 As the applicant indicated, the Stage 1  
13 load shed doesn't remove anything crucial to operation  
14 of the plant. The Stage 2 load shed removes the Wide  
15 Panel Information System.

16 In order to have an event that results in  
17 the removal of the Wide Panel Information System, you  
18 need a VES actuation with offsite power available.  
19 these all involve multiple independent failures and/or  
20 beyond design basis event.

21 And even if this event does happen, the  
22 inventory of controls required to operate the plant is  
23 still available and no indication is lost by the  
24 operators as a result of the load shed.

25 MEMBER STETKAR: Boyce, you said it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 multiple independent failures that are beyond design  
2 basis event.

3 The VBS system is a non-safety-related  
4 system. So, I'm not sure why that's a beyond design  
5 basis event that I would lose normal main control room  
6 ventilation from a non-safety-related system.

7 MR. TRAVIS: So, ultimately with regards  
8 to this, we're talking about this in respect to an  
9 event that would require them to continue to operate  
10 the plant in the period where the VBS was failed, VES  
11 actuated and they were continuing -- so, this human  
12 performance analysis is with regards to them  
13 continuing to operate the plant.

14 That's not an expected condition. By tech  
15 specs, they would have to shut the plant down within  
16 26 hours. And ultimately they would have the  
17 available indication -- there would be no impact to  
18 the indications provided by the --

19 MEMBER STETKAR: Boyce, I'm not arguing  
20 with what they have or what they might have. I'm  
21 arguing with the statement that you made on the record  
22 that said that this -- getting into the situation of  
23 loss of normal control room ventilation is a beyond  
24 design basis condition.

25 It is not beyond the design basis of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       licensing of the plant, because the normal main  
2       control room ventilation system is a non-safety-  
3       related normal system. Therefore, I'm not sure how  
4       loss of it is a design basis accident.

5               MR. TRAVIS: I'll defer to Paul. This is  
6       all in regards to --

7               MEMBER STETKAR: I understand about how  
8       long -- what the tech specs say how long they can  
9       operate without normal main control room ventilation  
10      and things like that.

11              MR. PIERINGER: Paul Pieringer working in  
12      the Human Performance and Operating Licensing Branch,  
13      NRC.

14              The words I chose there, "and/or," I was  
15      trying to distinguish between some events that were  
16      just a loss of redundant trains, and others that were  
17      actually a design basis event.

18              I -- the scenario that we're talking about  
19      here would be a loss of a non-safety-related  
20      ventilation system. And I had categorized that as a  
21      loss of redundant trains.

22              Now, one of those trains could have been  
23      lost because of maintenance, but I just characterized  
24      that as that train was unavailable.

25              It would have required a second loss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during that maintenance duration that characterizes --

2 MEMBER STETKAR: And I'm not arguing with  
3 that, Paul. I just want to make sure that for the  
4 record we're not talking about this -- the condition  
5 that's been evaluated here, the limiting condition of  
6 loss of normal ventilation with AC power available, I  
7 just want to make sure that we're real clear that that  
8 is not a beyond design basis event. It is -- that  
9 particular condition is simply loss of a non-safety-  
10 related ventilation system.

11 MR. TRAVIS: That, we do agree with and  
12 the event has been evaluated as a design basis event  
13 with regards to main control room heat-up.

14 I think this was in response to the  
15 scenarios that were evaluated that would put us in  
16 this condition that would require operators to  
17 continue to operate the plant without shutting it  
18 down.

19 MEMBER STETKAR: Okay. I think we've got  
20 enough of that on the record. I just wanted to make  
21 sure it was clear. Thanks.

22 MR. TRAVIS: Sure. Do you have another  
23 question or --

24 MEMBER STETKAR: Yeah, I don't know if  
25 you'll -- yeah, you're talking about human

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance. Let me get back to the heat-up analyses  
2 --

3 MR. TRAVIS: Sure.

4 MEMBER STETKAR: -- because as I mentioned  
5 when I asked Westinghouse earlier about what loads  
6 were included in their revised analysis, I went back  
7 in the last day or so and reread the SER.

8 And the SER specifically says under the  
9 load shed non-1E MCR heat loads are de-energized by  
10 automatic actuations of the protection safety  
11 monitoring system within three hours after VES is  
12 actuated, and the 24-hour battery heat loads are  
13 terminated or exhausted at 24 hours to maintain the  
14 assumed heat load values which then maintain the  
15 occupied zone of the MCR and the zones containing  
16 qualified safety-related equipment within the  
17 temperature constraints at 72 hours following VES  
18 actuation. That's a long sentence.

19 At the end of that paragraph it says,  
20 these conditions are reflected in the GOTHIC model  
21 which was audited by the staff.

22 That, to me, seems to say that the staff  
23 thought that the 24-hour battery loads were lost at 24  
24 hours --

25 MR. TRAVIS: So --

1 MEMBER STETKAR: -- which is a different  
2 complement of things.

3 MR. TRAVIS: -- there are two analyses  
4 that applicant conducted. One was basically  
5 concurrent with the station blackout.

6 MEMBER STETKAR: Yes.

7 MR. TRAVIS: And one was with the --  
8 effectively with AC power still available.

9 MEMBER STETKAR: Right.

10 MR. TRAVIS: In both scenarios there are  
11 loads that are shed at 24 hours. There are less loads  
12 shed in the 24-hour scenario at -- with offsite power  
13 available. And so, that analysis has a higher heat  
14 load.

15 But as you'll see in the applicant's  
16 analysis, there is a load shed at 24 hours and a  
17 concurrent reduction the heat losses --

18 MEMBER STETKAR: There is.

19 MR. TRAVIS: In accordance with the DCD,  
20 the table -- at 24 hours, they have a reduced loading  
21 at 24 -- at that period.

22 MEMBER STETKAR: I didn't see the -- the  
23 problem is I only had Revision 19 of the DCD --

24 MR. TRAVIS: Okay.

25 MEMBER STETKAR: -- which was done under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the old station blackout stuff which takes credit for  
2 the 24-hour loads --

3 MR. TRAVIS: Right.

4 MEMBER STETKAR: -- all of them going  
5 away.

6 MR. TRAVIS: In this case, some of the 24-  
7 hour loads do still go away. And that is reflected in  
8 both the DCD and the applicant's GOTHIC analysis.

9 MEMBER STETKAR: Okay. Has Westinghouse  
10 agreed to that? Because I thought that I was told  
11 that the 24-hour loads remained available for your  
12 analysis.

13 MR. TRAVIS: If you have access to the  
14 slides, I can point you to one of Westinghouse's  
15 slides and one of our slides that do show that, but --  
16 or the applicant, if they'd like to speak to this?

17 MEMBER RAY: Maybe we --

18 MEMBER STETKAR: Keep going to other  
19 topics.

20 MEMBER RAY: Yeah, they're conferring and  
21 we'll put something on the record then, John.

22 MEMBER STETKAR: Thanks.

23 MR. TRAVIS: So, in conclusion with  
24 regards to main control room heat-up, it remains  
25 within the temperature and the limits for EQ for both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the first 72 hours where VES is in operation, and the  
2 period between three and seven days.

3 Additionally, the staff found that change  
4 in acceptance criteria from the effective temperature  
5 that's in the DCD to wet-bulb globe temperature of  
6 less than 90 acceptable, because the wet-bulb globe  
7 temperature is associated with an unlimited stay time  
8 and endorsed by NUREG-0700.

9 And finally, the staff found that given  
10 the low probability of events and the available  
11 indications to the operators, the load shed does not  
12 impact human performance.

13 MEMBER RAY: Let me ask Westinghouse if  
14 they need some more time to -- yes, they'd like some  
15 more time. So, just don't let me forget, John. So,  
16 go ahead.

17 MR. MCKIRGAN: So, if we could, now is the  
18 time to swap out for our reviewers. Thank you, Boyce.  
19 And now we'll bring in Jack Zhao, Anne-Marie Grady and  
20 Robert Roche.

21 (Pause.)

22 MR. MCKIRGAN: So, our next topic that  
23 we'd like -- our next topic that we'd like to present  
24 is the combustible gas control in containment, the  
25 hydrogen vent ITAAC. And Anne-Marie Grady will begin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our presentation on that material.

2 MR. GRADY: Good morning. The issue here  
3 is ultimately containment integrity. We're evaluating  
4 a departure that wants to change the Tier 1 ITAAC for  
5 a distance from a hydrogen vent in the containment to  
6 the containment shell. And the specific wording --  
7 although the reference is there, the specific wording  
8 is not, but the distances are what are being changed.  
9 And the purpose of the ITAAC is to confirm this  
10 distance.

11 There are several ITAACs for several  
12 different rooms in the containment, and all except  
13 this room meet the existing ITAAC. This one is being  
14 revised.

15 The goal here is to keep any postulated  
16 hydrogen diffusion flame sources away from the  
17 containment pressure boundary to prevent conditions  
18 leading to potential failure of the shell or the  
19 hatches or the penetrations.

20 A burning hydrogen plume from the passive  
21 core cooling system PXS-A compartment room to the core  
22 makeup tank room, could potentially challenge  
23 containment allowable limits.

24 This is a single, low probability, as has  
25 already been mentioned, event involving multiple

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failures.

2 The applicant in evaluating the ITAAC, the  
3 existing ITAAC for this room, realized that there was  
4 a configuration change in this room and that the  
5 analysis had to be redone for this room only.

6 They performed a CFD, a computational  
7 fluid dynamics, sensitivity analysis to see where on  
8 the containment shell or the hatch were the hot spots.  
9 See how the plumes, the hydrogen plumes behaved.

10 After identifying where they behaved, and  
11 I can go into the physical configuration if no  
12 questions on that, but after identifying where the --  
13 how the hydrogen plume behaved, they performed a one-  
14 dimensional heat transfer analysis modeling radiation  
15 and convection to calculate temperature distributions  
16 on the containment pressure boundary in the area near  
17 the lower equipment hatch.

18 The maximum temperatures on the  
19 containment shell on the equipment hatch which  
20 projects into the containment about five feet, and the  
21 hatch barrel, were calculated and then averaged for  
22 input into the program which is used for the  
23 structural analysis.

24 And this is a table which is in the SER,  
25 but there's another table in the SER, but this has the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hot spot temperatures on the second column. It has  
2 the average temperature, that is the surface  
3 temperature averaged through the material, and those  
4 temperatures are for the containment shell, 442  
5 degrees; on the plate, 308; on the hatch cover, 577.  
6 And when only radiation was considered, they're  
7 slightly less.

8 Those are values that are required. Those  
9 temperature distributions are required for the input  
10 into the structural analysis.

11 MR. ROCHE-RIVERA: So, yes. This is my  
12 slide here. So, good morning, members of the  
13 Committee. My name is Robert Roche. I'm a structural  
14 engineer with the Office of New Reactor.

15 I would like to also make a note that I'm  
16 presenting this information in place of Pravin Patel.  
17 Pravin presented this information during the  
18 subcommittee on Tuesday, but cannot be with us today.

19 So, I would like to indicate that as  
20 discussed during the subcommittee meeting, the  
21 structural analysis for the containment integrity  
22 evaluation performed by the applicant are prompted by  
23 the elevated temperature associated with this hydrogen  
24 event.

25 The staff audit the applicant's structural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analysis and found that this analysis demonstrate that  
2 the metal resultant stresses remain well below the  
3 ASME Service Level C allowable stresses as indicated  
4 in the slide.

5 And, therefore, in conclusion, the staff  
6 concluded that the applicant analysis has met the ASME  
7 Service Level C requirements. And, therefore, the  
8 containment integrity is not challenged by this event.

9 MS. GRADY: Staff concludes that the  
10 methodology and assumptions in the analysis for  
11 determining the temperature source terms from the  
12 hydrogen burns are appropriately conservative and the  
13 results are acceptable to be used as input into the  
14 structural analysis.

15 And based on the staff's evaluation of  
16 containment survivability, we find that containment  
17 integrity is not challenged due to the diffusion flame  
18 hydrogen burn from the CMT-A room in the containment.

19 MR. MCKIRGAN: I believe that finishes the  
20 staff's presentation on that topic.

21 CHAIRMAN BLEY: No other questions. We'll  
22 ask you to move on then.

23 MR. MCKIRGAN: Very good. We'll turn to  
24 Jack Zhao, who will walk us through the IEEE-603 flux  
25 doubling logic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ZHAO: Good morning. Next slide.  
2 Clause 6.6 in IEEE-603, operating bypass, requires a  
3 safety system to prevent activation of operating  
4 bypass for safety systems if permissive conditions are  
5 not met or initiate a safety function.

6 So, the applicant find in the current  
7 design for this safety logic, it does not meet as a  
8 criteria in Clause 6.6 in IEEE-603, operating  
9 bypasses. There was no permissive condition  
10 implemented in the PMS system.

11 So, in order to meet the regulatory  
12 requirements on operating bypasses, the applicant  
13 proposed to add a new permissive condition called P-8  
14 and also made a few other changes to their logics.

15 Next slide. So, staff reviewed the new  
16 permissive condition and the changes to the logics,  
17 and found the proposed changes acceptable and meet the  
18 criteria in Clause 6.6, operating bypasses. And that  
19 concludes my presentation.

20 MR. MCKIRGAN: So, that concludes the  
21 staff's presentation on that topic. I believe  
22 Westinghouse might be prepared to speak to the 24-hour  
23 --

24 MEMBER RAY: Okay, John, do we -- we need  
25 Boyce and Andy to come both to the table, or do you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to -- think we can handle it here? All right.  
2 Thank you, staff members.

3 Okay, John. I'll ask you to refrain what  
4 it is you're looking for so we don't wander around  
5 here too much.

6 MEMBER STETKAR: Okay. Question to  
7 Westinghouse. Does the revised main control room  
8 heat-up analysis with loss of normal ventilation and  
9 AC power available, account for active shedding or  
10 loss due to other conditions of any of the loads from  
11 the 24-hour batteries at 24 hours, if that's precise  
12 enough?

13 MR. PFISTER: That is precise enough, and  
14 I think Boyce and I were answering slightly different  
15 questions for that.

16 MEMBER STETKAR: Okay.

17 MR. PFISTER: I believe I understand what  
18 you're looking for. In the heat-up analysis, there is  
19 an assumed load shed at 24 hours.

20 MEMBER STETKAR: At 24 hours.

21 MR. PFISTER: That load shed is of non-  
22 safety-related equipment located in the control room.

23 MEMBER STETKAR: Okay.

24 MR. PFISTER: That is primarily EDS-  
25 powered equipment. And the only thing that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 automatically load shed is some 24-hour lighting.

2 MEMBER STETKAR: And that's even -- that's  
3 -- I hate to interrupt. I just want to make sure I  
4 understand.

5 That's even with all AC power available?

6 MR. PFISTER: That's even with all AC  
7 power available.

8 MEMBER STETKAR: Okay.

9 MR. PFISTER: So, the loads that I'm  
10 talking about, though, that are shed are primarily not  
11 on the safety-related 24-hour batteries.

12 So, we have non-safety-related EDS  
13 batteries that are assumed to be load shed at 24  
14 hours.

15 MEMBER STETKAR: Okay. Now, let me make  
16 sure. Because as I said the other day, I'm really  
17 simple and I'm really precise.

18 MR. PFISTER: Yes.

19 MEMBER STETKAR: I know we have four 24-  
20 hour safety-related batteries, right -- well, are they  
21 considered -- I have to be careful.

22 Are they considered safety-related  
23 batteries?

24 MR. PFISTER: We have four divisions of  
25 safety-related batteries.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: That are rated for 24  
2 hours.

3 MR. PFISTER: At least 24. Two stations  
4 are rated for 72.

5 MEMBER STETKAR: They're not the two 72-  
6 hour batteries.

7 MR. PFISTER: Correct.

8 MEMBER STETKAR: Okay. So, we're talking  
9 -- right now I'm talking about those four safety-  
10 related batteries.

11 MR. PFISTER: Yes.

12 MEMBER STETKAR: Is anything removed from  
13 them at 24 hours for your heat-up analysis?

14 MR. PFISTER: The only thing removed from  
15 them at 24 hours is control room lighting.

16 MEMBER STETKAR: Okay. And that is --

17 MR. PFISTER: So, the other loads that are  
18 shed at 24 hours are assumed to be terminated, are  
19 things like laptops in the control room.

20 In our analysis we account for ten  
21 additional laptops in the control room. At 24 hours,  
22 those loads are assumed to be exhausted.

23 MEMBER STETKAR: Why are they assumed to  
24 be exhausted if AC power is available, though? I  
25 understand the analysis for -- the previous analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the station blackout whether it happens precisely  
2 at 24 or some later time.

3 MR. PFISTER: All of the non-safety-  
4 related receptacles in the control room are de-  
5 energized as part of that initial load shed. I think  
6 there was a comment about a rogue vacuum.

7 MEMBER STETKAR: Yes.

8 MR. PFISTER: And so, there's no power  
9 outlets in the control room to power anything.

10 MEMBER STETKAR: That's -- but that's the  
11 --

12 MR. PFISTER: So, these laptops are  
13 assumed if you or I brought our laptop into the  
14 control room during this loss event and continued to  
15 run them for the first 24 hours.

16 MEMBER STETKAR: Okay.

17 MR. PFISTER: And so, it's those type of  
18 heat loads that are assumed to be lost at 24 hours.

19 MEMBER STETKAR: But is that as a result  
20 -- again, maybe I'm being too simpleminded. As I  
21 understand it, there are now two active load sheds.  
22 One, some stuff gets de-energized actively at time,  
23 I'll call it, zero when VES is actuated; is that  
24 correct?

25 MR. PFISTER: That is correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: And is that these -- the  
2 outlets?

3 MR. PFISTER: These outlets are a load  
4 shed, yes.

5 MEMBER STETKAR: Okay. Good. And then  
6 some other complement of stuff gets shed at three  
7 hours after T zero; is that correct?

8 MR. PFISTER: That is correct.

9 MEMBER STETKAR: Okay. Does anything else  
10 get actively shed at 24 hours, or are you simply  
11 saying that my computer dies at 24 hours?

12 MR. PFISTER: The only other item that's  
13 actively shed at 24 hours is a certain amount of  
14 control room lighting.

15 MEMBER STETKAR: Okay. And that happens  
16 regardless of whether --

17 MR. PFISTER: Correct.

18 MEMBER STETKAR: Regardless of whether AC  
19 power is available or not.

20 MR. PFISTER: Yes.

21 MEMBER STETKAR: And the analysis does  
22 account for that.

23 MR. PFISTER: Correct.

24 MEMBER STETKAR: Good.

25 MR. PFISTER: At 24 hours in the analysis,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there are other loads that are assumed to be  
2 terminated.

3 MEMBER STETKAR: Yeah, like my laptop or  
4 whatever.

5 MR. PFISTER: Yes.

6 MEMBER STETKAR: Got it. I think I  
7 understand that.

8 MR. PFISTER: Sorry for the --

9 MEMBER STETKAR: No, no, that's -- it's  
10 fine. When I read the SER, the SER just says "the"  
11 24-hour battery loads are terminated or exhausted at  
12 24 hours, which is a verbatim statement from the  
13 previous loss of all AC analysis. It was extracted  
14 precisely from that previous analysis when, indeed,  
15 you assume that all of the 24-hour battery loads go  
16 away.

17 And that's what -- that's what hung me up.  
18 I get it. I understand. Thank you.

19 MR. PFISTER: Okay.

20 MEMBER RAY: Okay. Thank you, John.

21 MEMBER STETKAR: Sorry.

22 MEMBER RAY: This John here, is there  
23 anything more that you have?

24 MR. MCKIRGAN: That concludes the staff's  
25 presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER RAY:   Okay.   Well, while you're  
2   still there, John, and you're by yourself, I know, but  
3   I just want to underscore again something I said  
4   earlier.  But in the case of the staff presentation of  
5   the subcommittee, it did include presentation on  
6   vendor inspection history, which referred us to non --  
7   Notice of Nonconformance.  I'm trying to get it right.  
8   I'm used to notices of violation, but Notice of  
9   Nonconformance; one having to do with organization,  
10  and one having to do with corrective action that  
11  pertained to an inspection conducted at Westinghouse.  
12  And more information was provided to us at the  
13  subcommittee concerning those matters.

14                   Okay.  That being said, there -- on the  
15  agenda now, Mr. Chairman, there is an opportunity for  
16  public comment and I assume you'd like me to proceed  
17  with that.  Okay.

18                   And I'll ask that the bridge line be  
19  opened.  It's not been popping and cracking.  So, I  
20  assume it's not been.

21                   And while that takes place, I'll ask if  
22  there's anyone here in the audience with us who would  
23  like to step to the microphone and make any comments.  
24  You're welcome to do so at this time.

25                   (Pause.)

1                   MEMBER RAY: I see Mr. Wen returning, and  
2 I'll trust that that means that the public line,  
3 telephone line is now open. And I'll ask if there's  
4 anyone on the telephone line who would affirm that  
5 they can indeed speak to us. If so, please simply say  
6 who you are, and then I'll ask if there are any  
7 comments.

8                   Well, perhaps if anyone would like to  
9 acknowledge the bridge line is open to us, it would be  
10 helpful.

11                   (No response.)

12                   MEMBER RAY: Hearing nothing, Mr.  
13 Chairman, I must assume there's no one on the bridge  
14 line and, therefore -- ah, there -- please.

15                   CHAIRMAN BLEY: If you'd like to make a  
16 comment, please state your name and make your comment.

17                   (No response.)

18                   CHAIRMAN BLEY: Thank you.

19                   MEMBER RAY: I think we've done our due  
20 diligence with regard to the bridge line. We are 15  
21 minutes ahead of time, which I'm sure the committee  
22 welcomes. I want to acknowledge the responsiveness  
23 and thoroughness of the applicant and the staff and  
24 what they're brought to us here. And we will in the  
25 course of this full committee meeting, decide if we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can produce a letter. And if so, what its content  
2 will be, but that's for later in the discussion.

3 With that, I'll turn it back to you.

4 CHAIRMAN BLEY: Thank you, Mr. Ray.

5 At this time we will recess until 10:45  
6 when we'll take up Reg Guide 1.229.

7 (Whereupon, the proceedings went off the  
8 record at 10:10 a.m. for a brief recess and went back  
9 on the record at 10:45 a.m.)

10 CHAIRMAN BLEY: The meeting will please  
11 come back to order.

12 Before we go on to the next real topic, I  
13 have an announcement for the members. There was a  
14 training session you all heard about that looked like  
15 an hour and a half at 12:30. It will be at 12:30. It  
16 won't last that long, but the people will be here for  
17 an hour and a half if you need additional help from  
18 them on training efforts.

19 At this point, I would like to turn the  
20 meeting over to Professor Ballinger to lead us through  
21 the Reg Guide 1.229 discussion.

22 MEMBER BALLINGER: Thank you Mr. Chairman.

23 Today we have members of the NRC staff and  
24 NEI actually to brief the Subcommittee on their  
25 development and finalization of Reg Guide 1.229, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the Risk-Informed Approach for Addressing the  
2 Effects of Debris on Post-Accident Long-Term Cooling.

3 During our March 26th, 2016 and November  
4 3rd, 2015 meeting, we received briefings on the  
5 subject as it related to the proposed 10 CFR 50.46(c)  
6 rulemaking. The staff has incorporated comments from  
7 the public, the nuclear industry, and NRC offices and  
8 is getting ready to finalize and issue the regulatory  
9 guide.

10 Today we have Stephen Geier I think --  
11 maybe not.

12 PARTICIPANT: Yeah, he's here.

13 MEMBER BALLINGER: He is? And Wayne  
14 Harrison, who is -- from STP -- who is here via phone,  
15 I hope, representing --

16 MR. HARRISON: I am here.

17 MEMBER BALLINGER: -- good -- representing  
18 industry views on the subject of the regulatory guide.

19 Now I'll invite Russel Felts, he is here,  
20 Acting Director, NRR Division of Risk Assessment, to  
21 introduce the presenters and start the briefing.

22 MR. FELTS: Thank you, sir.

23 We appreciate the opportunity to discuss  
24 Reg Guide 1.229 with ACRS today. Reg Guide 1.229  
25 addresses an important safety issue, specifically,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 GSI-191, that has proven very difficult to resolve.  
2 The reg guide incorporates lessons from the South  
3 Texas Project pilot application. It benefitted from  
4 significant input from many internal and external  
5 stakeholders, and the reg guide is ready to go.

6 We expect at least 10 licensee submittals  
7 using a risk-informed approach, starting this year.  
8 We therefore believe that it is in the best interest  
9 of the NRC and the industry to publish the guidance  
10 sooner rather than later.

11 NRC plans to add additional less  
12 conservative approaches as soon as technical bases are  
13 developed, but the approach in the reg guide will be  
14 beneficial to many licensees as is.

15 The NRC staff is requesting an ACRS letter  
16 today recommending issuance of Reg Guide 1.229. This  
17 would support publication of the reg guide along with  
18 the final 50.46 rule consistent with the Commission's  
19 policy on the cumulative effects of regulation.

20 With that, I turn it over to CJ Fong for  
21 the staff's presentation.

22 MR. FONG: Thanks, Russ.

23 Some quick introductions: my name is CJ  
24 Fong. I am the Team Leader for Risk-Informed  
25 Licensing in NRR. To my right is Steve Lauer, who is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Senior Risk Analyst, also in NRR, and Stephen  
2 Smith who is the Senior Reactor Engineer in NRR  
3 Division of Safety Systems.

4 As Russ said, we're here to talk about Reg  
5 Guide 1.229, which is Risk-Informed Approach for  
6 Addressing GSI-191, or, if you prefer, using the risk-  
7 informed provision in 50.46(c).

8 A couple key messages today for the ACRS:  
9 first, we're requesting a letter, and I'm going to  
10 provide kind of two reasons why we feel that a letter  
11 is appropriate.

12 First is the Commission policy on  
13 cumulative effects of regulation, or CER. Second, I'm  
14 going to talk a little bit about the licensee  
15 schedules that have been shared with the staff. And  
16 then too I'm going to talk about some of the technical  
17 issues that have been discussed in the previous  
18 Subcommittee meetings and other public forums and  
19 share with you why we conclude that the reg guide is  
20 ready for use now.

21 So first, and this was back on March 22nd,  
22 the Subcommittee asked us to specifically address why  
23 we want to publish the reg guide now. I think in fact  
24 the question is what's the rush?

25 And so one of the key things driving us is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Commission policy on the cumulative effects of  
2 regulation, which states pretty clearly that draft  
3 guidance should come out with draft rules or proposed  
4 rules, and final guidance should come out with final  
5 rules. So as the final 50.46(c) rule is now with the  
6 Commission, we feel it is appropriate to move forward  
7 with this reg guide, which provides implementation  
8 guidance on the risk-informed portion of 50.46(c).

9 MEMBER REMPE: Well, if you're going to do  
10 that, though, I also thought this really applied to  
11 GSI-191, and what happens if the rule were not  
12 approved by the Commission? Doesn't this draft guide  
13 still provide guidance that is useful to industry?

14 MR. FONG: It does, and in fact, we talked  
15 with our reg guide expert just a few days ago, and the  
16 reg guide itself would be published with 50.46(c). If  
17 50.46(c) doesn't -- the Commission decides not to  
18 approve it, or if it's delayed, we still feel that  
19 having this guidance in place, albeit in draft form,  
20 with, you know, "preliminary" stamped on it, still  
21 provides a path for licensees to respond to Generic  
22 Letter 2004-02.

23 So there are -- in fact, it's a good segue  
24 here. The so-called Option 2 plants are the licensees  
25 that have told the staff they intend to use a risk-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 informed approach to address GSI-191, and that was the  
2 whole Option 2 classification from SECY-12-0093, so  
3 there's about 10 or so licensees that want to use that  
4 method.

5 If they -- if 50.46(c) is available, then  
6 that's a clear path for them to do that without  
7 exemptions, which is what the staff was directed to do  
8 by the Commission. If 50.46(c) is not available, the  
9 technical approach would look very similar and this  
10 guidance would be very useful. They would probably  
11 need to come in for an exemption to some of the GDC or  
12 portions of the existing 46, but as far as the  
13 technical analysis, the methods that would be used, it  
14 would look very similar, and this guidance would be  
15 helpful for both the licensees and the staff.

16 VICE CHAIRMAN CORRADINI: So -- so let me  
17 make sure, because I think I was the one on the phone  
18 asking this question.

19 I am still struggling with the, well, I'll  
20 call it streamlined, quasi-conservative portion of the  
21 reg guide. I think it's Appendix B.

22 MR. FONG: C.

23 VICE CHAIRMAN CORRADINI: And the -- and  
24 the -- and I'll use the word incomplete -- maybe  
25 that's not the right word, you guys pick the right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 word -- the incomplete Appendix C guidance on the  
2 LOCA.

3 MR. FONG: Okay, yes.

4 VICE CHAIRMAN CORRADINI: And so in this  
5 form, granted it's out, but is it -- is it -- and I'm  
6 going to ask the NEI representative when he shows --  
7 is industry really going to use this version, or are  
8 they going to wait for I'll call it an updated version  
9 relative to at least Appendix C, and potentially a  
10 more complete thinking of Appendix B?

11 Because to me, it strikes me that this is  
12 -- well, I guess that's -- I'll just stop there. I'll  
13 leave it at that question.

14 MR. FONG: Yeah --

15 VICE CHAIRMAN CORRADINI: Is it your  
16 impression that there are licensees that are going to  
17 use what you put out?

18 MR. FONG: Yeah, I prefer to let NEI speak  
19 for themselves as far as what they want to do with  
20 Appendix C, just that one piece, which is LOCA  
21 frequency allocation.

22 I'd point out that there's a lot of other  
23 useful guidance in the reg guide that we do expect  
24 licensees to use, things like the zone of influence,  
25 transport trees, coatings, there's a lot of other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things in the guidance that we feel are not  
2 controversial, ready-to-go. We would expect industry  
3 to use those.

4 As far as what they want to do with that  
5 one piece, the LOCA frequency allocation, I'll let  
6 them --

7 VICE CHAIRMAN CORRADINI: Okay.

8 MR. FONG: -- tell you about that.

9 VICE CHAIRMAN CORRADINI: So I'll  
10 characterize it, and again, I'm being somewhat  
11 provocative so you can see where I'm coming from: I  
12 view the streamlined Appendix C approach with the  
13 Appendix B approach, with the current Appendix C as  
14 almost like an -- equipped with an Appendix K version  
15 of peak clad temperature, where everything but the  
16 LOCA frequencies is pretty much conservatively  
17 bounded, so I'm not exactly sure what I'm getting from  
18 it.

19 MR. LAUER: Well --

20 VICE CHAIRMAN CORRADINI: That is my  
21 interpretation of what I read, so --

22 MR. LAUER: Let me answer that if I can.  
23 What you're getting from it is -- first of all,  
24 Appendix B came from actual experience with the pilot  
25 application where they switched from a very detailed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach to the simplified approach, and Appendix C is  
2 a hybrid of that and something we heard at a meeting  
3 with a different licensee.

4 So yes, there are several licensees that  
5 could use this as is, the Appendix B method with the  
6 Appendix C LOCA allocation approach. And we don't  
7 know if they all --

8 VICE CHAIRMAN CORRADINI: Okay.

9 MR. LAUER: -- could succeed that way, but  
10 certainly our confirmatory calculations that we've  
11 done indicate that it would be acceptable --

12 VICE CHAIRMAN CORRADINI: Okay.

13 MR. LAUER: -- although very conservative.

14 VICE CHAIRMAN CORRADINI: All right. I  
15 had a couple other points, but I will wait. Thank  
16 you.

17 MR. FONG: So as Steve pointed out, and  
18 was said in the opening remarks, the staff is  
19 currently developing some more realistic LOCA  
20 frequency allocation methods that will eventually live  
21 in Appendix C.

22 And we talked about this a little bit back  
23 in March, but we have a team put together, formed with  
24 representative from NRR and Research. They are  
25 working on those methods. They have a plan in place

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that has been approved by management, and they have a  
2 target to complete that update late this year, early  
3 next year.

4 And just to point out that the focus right  
5 now is on providing some additional flexibility and  
6 realism in Appendix C, but of course with any reg  
7 guide, we're going to be cognizant of OE as it comes  
8 in, and so as we learn lessons from the pilot plant,  
9 from the first couple subsequent non-pilot plants, we  
10 can certainly incorporate that information into a  
11 Revision 1, and that would include, you know, feedback  
12 from any stakeholder, really.

13 The goal right now of the active  
14 improvements are of course centered around Appendix C,  
15 but we're going to take a holistic look at anything we  
16 learn, and again, we can certainly update the reg  
17 guide as necessary based on that experience.

18 So the final slide here talks about the  
19 path forward. As Mr. Felts said, we believe the reg  
20 guide is ready for use right now. We have achieved  
21 internal NRC concurrence, and no legal objection from  
22 OGC.

23 You will hear a bit more from the  
24 industry, but our understanding is they agree that the  
25 reg guide is ready to go and should be published.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The bounding method in Appendix C right  
2 now is probably a little on the conservative side, but  
3 we think it is suitable for this, what we've seen at  
4 least for the early plants. And again, we will  
5 certainly, as with any reg guide or any document  
6 really, we'll be aware of OE and operating experience,  
7 and we'll incorporate that in the future revisions as  
8 necessary.

9           MEMBER STETKAR: We -- since that is the  
10 end of the staff's presentation, we have a little time  
11 available for discussion.

12           CHAIRMAN BLEY: All the topics you would  
13 like. Please go ahead.

14           MEMBER STETKAR: So during the --

15           MR. HARRISON: South Texas can comment on  
16 that if you'd like.

17           MEMBER BALLINGER: Say again?

18           MR. HARRISON: I said -- this is Wayne  
19 Harrison from South Texas Project, and I could give  
20 you some feedback from our perspective if you'd like.

21           MEMBER BALLINGER: Fine, good. Go ahead.

22           MR. HARRISON: I -- thank you.

23           I'll just start out by saying that we  
24 agree that the draft reg guide should be issued with  
25 the -- with the real change package, that it -- that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, like the introductory remarks that were made  
2 commented, that it was -- it's consistent with the  
3 goal of issuing guidance along with the rules.

4 And I think from the standpoint of what CJ  
5 said, it does provide the definition of the content  
6 needed for the risk-informed application. So if  
7 you're coming in, a licensee is coming in with a risk-  
8 informed application, following the regulatory  
9 guidance answers a lot of questions with respect to  
10 what needs to be in that application, what needs to be  
11 in the application for a simplified approach, what  
12 needs to be in the application for a more -- more  
13 detailed approach.

14 And the -- the regulatory guidance has  
15 some flexibility incorporated into it, which is  
16 probably both -- good points and bad points associated  
17 with it, but I would say for the complexity associated  
18 with the variations in the -- in the plants, with  
19 their debris characteristics and their design  
20 differences, I think the ability to have flexibility  
21 is an advantage to the licensees in the application of  
22 the reg guide, and as CJ commented, it will probably  
23 also result in maybe future changes to the reg guide.

24 But again, the point is that the  
25 regulatory guidance, it's got the right areas of focus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the licensee making the submittal and having the  
2 dialogue with the staff.

3 From the standpoint of the South Texas  
4 Project application and what we have in the content of  
5 our pilot application for the risk-informed approach  
6 to GSI-191, which started as a detailed approach and  
7 then transitioned to a simplified approach, we believe  
8 that what is in that guidance is consistent with --  
9 with what we have used in our process and has been --  
10 led to successful dialogue with the staff.

11 So that's pretty much the summary of our  
12 comments in -- on the basis of agreeing that the  
13 regulatory guide is -- is ready to be -- to be issued  
14 and for use.

15 CHAIRMAN BLEY: Thank you. This -- yeah.  
16 I'd like to follow that up with a question for you  
17 from South Texas.

18 In doing the simplified approach, you had  
19 the advantage I guess I'd say of having done the  
20 detailed, and having an awful lot of information in  
21 place to do a really thorough job on the -- the  
22 simplified approach.

23 I am wondering if you've looked closely at  
24 the guidance on the simplified approach and think if  
25 that's where you were starting, would that guidance,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would it have been reasonable for you to discern how  
2 much of that information that you've used from the  
3 detailed work you did, you'd need to do to support the  
4 simplified approach?

5 MR. HARRISON: I haven't done that  
6 specifically from that perspective, but I would tell  
7 you that my -- my gut reaction is the answer is that  
8 it does, and the reason I say that is when we went  
9 from the detailed approach to the simplified approach,  
10 a lot of what we had done in the detailed approach was  
11 not as useful for the simplified approach. We had a  
12 lot of correlation information that -- that we did not  
13 need, and it was no longer applicable.

14 But a large part of what we still use from  
15 the detailed approach might be the -- the modeling and  
16 the -- the ability to determine the amount of debris  
17 generated and transported from specific locations.

18 CHAIRMAN BLEY: So --

19 MR. HARRISON: But --

20 CHAIRMAN BLEY: Go ahead.

21 PARTICIPANT: We lost him.

22 VICE CHAIRMAN CORRADINI: So are you still  
23 on a line? Is the South Texas --

24 MR. HARRISON: I am still here.

25 VICE CHAIRMAN CORRADINI: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: I am --

2 VICE CHAIRMAN CORRADINI: So let me --  
3 since you brought it up, let me ask: is it my -- am I  
4 mischaracterizing it that except for the LOCA  
5 frequency and the location of determining where the  
6 break is and the size of the break and therefore the  
7 debris generated, the rest of Appendix B looks to me  
8 to be a deterministic calculation based on  
9 experimental evidence?

10 MR. HARRISON: That is an accurate  
11 characterization. What the Appendix B does is that  
12 you have a deterministic element that's based on the  
13 tested amount of debris, and you have a risk-informed  
14 element that's based on the likelihood of breaks that  
15 can generate more fine-fiber debris than what was --  
16 than what was tested.

17 VICE CHAIRMAN CORRADINI: Okay. All  
18 right. Thank you.

19 CHAIRMAN BLEY: Thank you.

20 MR. HARRISON: Sure.

21 CHAIRMAN BLEY: John? We are ready.

22 MEMBER STETKAR: I kind of wanted to  
23 explore three topics that we discussed at some length  
24 during the Subcommittee meeting.

25 And one of them -- the first one pertains

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to what we heard about what needs to be included in  
2 the application. If I look at the guidance,  
3 especially -- well, if I look at the guidance, first  
4 of all, in Appendix A, and this also applies to  
5 Appendix B, so whether I do a detailed analysis or  
6 whether I do a simplified analysis, there's a  
7 statement that says "As a minimum, any scenario or  
8 group of scenarios meeting any of the following four  
9 inclusion criteria should be included in the risk-  
10 informed analysis," and I'll just paraphrase: scenario  
11 response involves recirculation; it involves a  
12 potential for debris; a mechanism that can transport  
13 debris to the sump; and the debris is sufficient to  
14 result in core damage.

15 So that is good. I -- I get that. The --  
16 the discussion in the reg guide, the guidance says,  
17 well, I can do some sort of screening analysis to  
18 eliminate scenarios, but I have to include LOCAs, and  
19 I can't do any screening of LOCAs, I have to include  
20 all LOCAs, regardless of the size or location.

21 And the rest of the guidance emphasizes  
22 almost completely LOCA analysis. Now there -- there  
23 can be plants, and I don't know because this is  
24 regulatory guidance written for anyone who wants to  
25 apply it, there can be plants for which certain types

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of transient scenarios may generate debris. I don't  
2 know.

3 Transient scenarios, for example, that  
4 involve initiation of feed and bleed cooling, where I  
5 blow down through the pressurizer relief tank and  
6 could transport debris from that location. There can  
7 be scenarios that involve main steam line and  
8 feedwater line breaks at various locations that can  
9 also transition to feed and bleed cooling, which would  
10 have additional possibility of debris from those steam  
11 line breaks.

12 There can be seismic scenarios that don't  
13 fail any piping, but could generate debris from non-  
14 seismically-qualified stuff -- I don't know what that  
15 stuff is -- but then could also transition to feed and  
16 bleed cooling because I don't have any main feedwater  
17 available, for example.

18 I don't see in the guidance the type of  
19 emphasis that I would hope to be there, and this is my  
20 own hope, to point people to think about that broad  
21 scope for their plant and justify the basis for why  
22 those types of scenarios are screened out, because it  
23 just tells me I can do screening on things that are  
24 not LOCAs.

25 That is all it tells me. It does not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really tell me what I can do, you know? It says I --  
2 I -- if they are not important, or -- I've forgotten  
3 the words, I don't want to search for them right now.

4 So one of my concerns is if this guidance  
5 is being issued for anybody out there, and the staff  
6 expects in the interest of clear guidance to minimize  
7 subsequent large numbers of plant-specific RAIs, that  
8 for your particular plant, might be a two-loop plant,  
9 might be configured much different than South Texas,  
10 might have much different kinds of insulation, for  
11 your particular plant, please provide me the answer of  
12 why did you screen out these following 300 scenarios?

13 Wouldn't it be better to have in the  
14 guidance a little bit more clarity about the staff's  
15 expectation for people to look at sources of debris  
16 and transport scenarios in addition to the LOCAs,  
17 which -- which is by far the predominant guidance?

18 MR. LAUER: If I could take a crack at  
19 that one, maybe we were naive by putting in the  
20 screening criteria and putting up front that all  
21 sources of risk, all operating modes and hazards, need  
22 to be considered that lead to recirculation, et  
23 cetera.

24 But it -- all four examples you gave have  
25 been addressed by the South Texas. Three were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addressed immediately in this initial submittal, and  
2 one is the result of an RAI, okay?

3 And the -- the -- I guess if after we  
4 issue this reg guide we find people coming in and  
5 continually not addressing those other scenarios, then  
6 I guess we'd have to clarify, but I --

7 CHAIRMAN BLEY: Steve?

8 MR. LAUER: Yes sir.

9 CHAIRMAN BLEY: The thing bothers me about  
10 that, I think that's great, but I am thinking a few  
11 years from now, when maybe you guys aren't the ones  
12 who are reviewing what comes in, and maybe the people  
13 who have not done all the background work that South  
14 Texas did are applying, maybe some of that will get  
15 missed if it's not in the guidance.

16 MR. SMITH: Maybe what we should do is  
17 when we do the change, this is one of the items that  
18 we should flag to, you know, to emphasize that, you  
19 know, you can't just look at LOCAs. Get that -- make  
20 that more clear in the guidance.

21 I think it is in there that you have to  
22 look at those other things, but I agree it is probably  
23 not emphasized as much as LOCAs.

24 MEMBER STETKAR: I think Dennis's point  
25 is, and we've talked about this a little bit, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wipe your mind clear of the South Texas experience.  
2 South Texas did not occur because you -- the staff is  
3 coming -- Steve has mentioned, well, yeah, we had to  
4 ask some RAIs of South Texas, and they finally looked  
5 at those other kinds of scenarios.

6 Wipe that clear. South Texas didn't  
7 exist. This is guidance that I as Plant X am going to  
8 pick up and use to -- to submit a risk-informed  
9 exemption for a license amendment, whatever it's  
10 called.

11 And think in that context. And think in  
12 the context of what is the bare minimum that I need to  
13 do to satisfy the staff. And this very quickly to me  
14 in that mindset funnels me into I need to look at  
15 LOCAs, and I can get rid of anything else. Yeah, it  
16 says, okay, I have to think about other things, but I  
17 can screen that stuff out pretty easily.

18 Now, put yourself in the shoes of, as  
19 Dennis said, a couple years from now, a different  
20 reviewer who then focuses on oh, yeah, in Section A-1,  
21 there's these four requirements, and -- and this  
22 particular applicant didn't address 300 different  
23 scenarios that I can think about, you know, please  
24 here's 300 RAIs, why didn't you address this one? Why  
25 didn't you address this one? Please provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 justification. Please provide quantitative  
2 justification.

3 It can just devolve into something that  
4 gets really messy, and I think that you could clarify  
5 the expectations right now going in to just remind  
6 people of the scope of things that they need to think  
7 about, and justify why they screened out something,  
8 and why LOCAs are only important for their plant, or  
9 why LOCAs at a particular steam line break location is  
10 important for their plant.

11 MR. LAUER: I think Steve had a good  
12 comment.

13 I mean, that is excellent feedback. I  
14 think that would be a great thing to -- to think about  
15 for Rev 1.

16 But I think it is very clear, even if  
17 you're just coming in cold, that we stated everything.  
18 Maybe it could have been clearer had we written it in  
19 a hierarchical manner and put all the LOCA stuff in an  
20 appendix so that you went right through, because we  
21 clearly state that you have to -- to consider all  
22 these things and screen them, and further, this --  
23 this builds on the existing Reg Guide 1.174, Reg Guide  
24 1.200, and the standard that says the same type of  
25 thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we -- the reason LOCAs predominate the  
2 guidance is because that's where the problem is. We  
3 usually look at seismic because Steve --

4           MEMBER STETKAR: At the plant that you  
5 looked at --

6           MR. LAUER: Oh no no, I don't mean the  
7 problem in terms of risk from debris. What I mean is  
8 it -- a seismic event looks at seismic at the whole  
9 plant.

10           A main steam line event -- this is an  
11 application where location-specific initiations are  
12 important for LOCAs, and therefore, you can slice and  
13 dice the frequency, and we want to be careful that  
14 people don't treat this in such a way that the  
15 scenarios screen out to determine cases.

16           MEMBER STETKAR: Steve --

17           MR. LAUER: Maybe I am not communicating  
18 --

19           MEMBER STETKAR: It makes a lot of sense  
20 for the things that you've thought about, which is  
21 LOCAs. It might be that a location-specific steam  
22 line break of a certain size with a certain jet could  
23 be important for my plant that you haven't looked at  
24 yet. It could be.

25           MR. LAUER: That's true, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER STETKAR:    It could be that a  
2           location in my containment where I store a bunch of  
3           anti-C clothing in a cabinet that is not seismically  
4           qualified that could fall over in a particular --  
5           below acceleration to cause piping failure event could  
6           distribute the anti-C clothing because you have not  
7           thought about that, and that might exist in my plant.

8                        So there can be these location-specific  
9           issues is my whole point that -- that require a  
10          different amount of attention, or perhaps a different  
11          focus, than -- than the LOCA things that you've  
12          thought about so carefully, because I don't know. I  
13          don't know for my plant.

14                       MR. FONG:   Yeah, I --

15                       MEMBER STETKAR:  I mean I know my plant,  
16          but if I am focused -- if I am very quickly told to  
17          only look at LOCAs and the staff is only expecting me  
18          to very carefully look at LOCAs, maybe we're all going  
19          to miss something.

20                       MR. FONG:   I don't know if I'd quite go  
21          that far. I mean, we say, as Steve pointed out, we --  
22          the guidance specifically says you can't just look at  
23          LOCAs, and when we talk about location-specific  
24          initiators, we're careful to say if a LOCA event or  
25          other scenario where the effects of debris may be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 location-dependent, so I will certainly -- I agree we  
2 can be a little more specific and improve that, but I  
3 don't think it's accurate to say we hadn't thought  
4 about that or that we didn't think about other --  
5 other scenarios that might have a location-specific  
6 component.

7 CHAIRMAN BLEY: My point of view, you guys  
8 rated what's in there as embedded, and you see your  
9 intent as well. When somebody knew --

10 MR. FONG: Sure.

11 CHAIRMAN BLEY: -- looks at it, they see  
12 it differently, and my impression was, yeah, the LOCA  
13 is everywhere. It just -- it feels as you read it,  
14 you get it over and over again.

15 And you're right, you do cover this stuff.  
16 It's just when you get -- especially when you get more  
17 operational in the back, LOCA LOCA LOCA is what you're  
18 --

19 MR. FONG: Sure.

20 CHAIRMAN BLEY: -- not just Appendix C,  
21 Appendix B.

22 MR. FONG: I understand, it's hard to  
23 proofread your own --

24 CHAIRMAN BLEY: Yeah.

25 MR. FONG: -- writing sometimes. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand what you're saying.

2 MR. LAUER: Well, and it's good feedback,  
3 and I think -- I don't know -- my opinion is it  
4 shouldn't hold up Rev. 0, and hopefully before the  
5 next generation comes along that's going to forget all  
6 that stuff, we'll improve it in Rev. 1, so I think  
7 that's something we can commit to.

8 VICE CHAIRMAN CORRADINI: I'm sure you  
9 have a number -- you have more, right?

10 MR. LAUER: At least two more, yeah.

11 VICE CHAIRMAN CORRADINI: Sorry, I'm  
12 sorry.

13 MEMBER STETKAR: I have two more, and we  
14 have 45 minutes, and NEI needs some time, so --

15 VICE CHAIRMAN CORRADINI: We have NEI.

16 MEMBER STETKAR: They need time for their  
17 presentation.

18 We can come back to this, obviously, if we  
19 have time left.

20 Now the second one is that, if I look at  
21 Reg Guide 1.174, there -- part of the guidance in  
22 there says that I have to account for uncertainties in  
23 my risk-informed decision-making.

24 And it is clear, the guidance very -- very  
25 clearly tells me that when I look at LOCA frequencies,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I have to have an uncertainty distribution for the  
2 LOCA frequency. That is pretty clear. And the  
3 implication is that I use the mean value from that  
4 distribution for any of my let's say point estimate  
5 calculations.

6 There's essentially no other mention of  
7 uncertainties in the guidance except it says, in  
8 Section C-4 under uncertainty, it says "In addition,  
9 portions of the analysis using NRC-staff-accepted  
10 deterministic methods do not require quantification of  
11 uncertainty (model or parametric). The NRC considers  
12 the accepted deterministic methods to be conservative  
13 enough to compensate for uncertainty.

14 NRC recognizes that some methods that were  
15 accepted in the past are currently not considered to  
16 contain significant conservatism. However, the most  
17 recent methods, for example, those accepted in  
18 Regulatory Guide 1.82, are considered to be adequately  
19 conservative."

20 So I went back because I had not read 1.82  
21 in a while, and I reread it, and it doesn't really  
22 address uncertainty either. It just says well, select  
23 something in this area that's bounding or sufficiently  
24 bounding or adequately conservative or those types of  
25 words. It doesn't say anything about uncertainty. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 says the uncertainties are broad, but pick for your  
2 deterministic analysis something that is adequately  
3 conservative.

4 I am paraphrasing there. I have several  
5 other quotes, but they get boring.

6 So I also went back to NUREG-1855 that's  
7 cited in this reg guide, and I looked at the section  
8 in NUREG-1855 that talks about modeling uncertainty  
9 and the use of so-called consensus models, and in  
10 there, it specifically says "The use of a consensus  
11 model eliminates the need to explore an alternative  
12 hypothesis, but adoption of a consensus model does not  
13 mean that the consensus model has no uncertainty  
14 associated with its use.

15 However, this uncertainty would generally  
16 be manifested as an uncertainty or the parameter value  
17 or values used to generate the probability of the  
18 basic events to which the consensus model is applied.  
19 This uncertainty would be treated in the PRA  
20 quantification as a parameter uncertainty. The  
21 adoption of a consensus model obviates the need to  
22 consider other models as alternatives."

23 So okay, if I use the modeling approach in  
24 Reg Guide 1.82, I don't need to account explicitly for  
25 model uncertainty, but I somehow do need to account

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for uncertainty in those parameters, for example, the  
2 amount of debris generated, transport analyses,  
3 deposition analyses, cumulative effects of chemical  
4 and particulate and fiber effects.

5 And I see nothing in the guidance that  
6 tells me I need to consider that. In fact, I am told  
7 that I don't need to consider it. In fact, I am told  
8 that the staff doesn't expect me to consider it at  
9 all.

10 And I would think that that is contrary to  
11 the fundamental guidance in Reg Guide 1.174, and  
12 furthermore, an explicit assessment of uncertainties,  
13 and by that I don't mean a quantitative assessment, I  
14 mean a -- at a minimum, a qualitative assessment of  
15 uncertainty, can be awfully, awfully useful to  
16 decision makers when they start to examine an  
17 application and determine how much margin is available  
18 in whatever quantitative estimates have been provided  
19 in that application.

20 We have heard from the industry that the  
21 elements of the simplified analysis are excessively  
22 conservative. Well, if I had at least some sense of  
23 the amount of uncertainty, even a qualitative  
24 assessment, I might have a better appreciation of how  
25 conservative they actually are: you know, am I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually using an absolute bounding value for which  
2 something cannot be worse?

3 So I -- I am left really empty by this  
4 notion that the guidance does not tell me at all to  
5 use any type of evaluation of uncertainty, except for  
6 those LOCA frequencies, because everybody knows that  
7 LOCAs frequency is important.

8 I don't know if the staff has any response  
9 to that. That was a long --

10 MR. SMITH: Well --

11 MEMBER STETKAR: -- monologue.

12 MR. SMITH: As far as -- I can talk about,  
13 you know, how the deterministic parts have been  
14 treated. I can't talk about whether we should treat  
15 parametric uncertainty in this type of evaluation or  
16 not. I could talk about it, but these guys would be  
17 better at it.

18 But the uncertainties associated with the  
19 deterministic methods that we used to evaluate the  
20 debris issue have been attempted -- the uncertainties  
21 have been -- people have tried to quantify those  
22 uncertainties, and they have had a difficult time in  
23 order for -- in order to get the NRC to basically back  
24 off the -- some of the requirements we make on them  
25 because, as they've stated, they're excessively

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conservative, and it creates problems for them  
2 evaluating their plant.

3           Because we have not been able to quantify  
4 these uncertainties very well, we have not -- you  
5 know, that is why we've required these conservative  
6 evaluations, and we have -- we believe we have  
7 conservatisms in every step of the analysis, okay? So  
8 they -- the industry claims that these are compounded,  
9 and it makes everything much more difficult for them  
10 to show that their -- their plants can survive a -- a  
11 LOCA event or some of the LOCA events.

12           So that's the -- the bottom line is we've  
13 had trouble quantifying the uncertainties.

14           MEMBER STETKAR: Stephen -- and I was  
15 pretty careful I think, I have to go reread the  
16 transcript, but I was pretty careful to say that I  
17 wasn't necessarily advocating a quantitative  
18 evaluation of the uncertainties in each element of  
19 what is now characterized as a -- the deterministic  
20 part of the analyses.

21           A qualitative assessment of the  
22 uncertainties and an explanation of -- of those  
23 uncertainties for each of those elements I think would  
24 be very very useful. It -- we -- you know, I believe  
25 that this value that I'm using for whatever parameter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it is is absolutely bounding and it could never be  
2 worse, for the following reasons. Or I believe that  
3 there's a small likelihood that it could be worse, but  
4 it's only a small likelihood for the following  
5 reasons.

6 Those are qualitative assessments.  
7 They're engineering assessments. They're not trying  
8 to quantify what that probability is.

9  
10 MR. FONG: Well the guidance, Mr. Stetkar,  
11 does tell licensees to address uncertainty, and we  
12 provide a bulleted list of areas, for example, as you  
13 mentioned, initiating event frequency, but also debris  
14 generation transport, chemical effects, et cetera, so  
15 I think that was the idea, was that we wouldn't just  
16 ignore uncertainty, it would be a discussion of the  
17 key areas, and the answer might be, well, we feel like  
18 it's bounded because we're using a conservative staff-  
19 approved method, but certainly, we don't want to just  
20 ignore --

21 MEMBER STETKAR: You know CJ, I read that  
22 initially, and I was okay with that at a very high  
23 level, until I got to the paragraph that I cited  
24 verbatim, which explicitly tells me that as long as I  
25 have a deterministic analysis following the guidance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in Reg Guide 1.82, I do not need to address  
2 uncertainty. It tells me that explicitly.

3 So if I am now somebody coming in, I am  
4 now told by the staff that I don't need to address  
5 uncertainties, regardless of the high-level stuff  
6 that's in the introduction, here is explicit guidance  
7 to me --

8 MR. LAUER: But what we were trying to do  
9 there is to say this is a consensus method, therefore  
10 it's not a key source of uncertainty, therefore you  
11 can ignore the model uncertainty, and you're pointing  
12 out that the parametric is not excluded from that.  
13 Okay.

14 MEMBER STETKAR: Parametric is not  
15 excluded by --

16 MR. LAUER: Right.

17 MEMBER STETKAR: That is correct.

18 MR. LAUER: Understand, so --

19 MEMBER STETKAR: And it -- and again, for  
20 the record, I will say it the third time, I am not  
21 advocating an explicit quantitative evaluation of  
22 uncertainty for each of those parameters, regardless  
23 --

24 MR. LAUER: Right.

25 MEMBER STETKAR: -- of what they are, in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that whole generation/transport/deposition part of the  
2 analysis, because those are really really difficult to  
3 do. It's not clear even people using the detailed  
4 method could get it right. South Texas tried, I  
5 think.

6 But at a minimum, a qualitative assessment  
7 that would both answer the higher-level I think  
8 they're bullets, I can't open the whole reg guide  
9 right here on the single screen, that -- to support a  
10 risk-informed assessment, and it would also provide  
11 the industry a means of demonstrating where they think  
12 the real sources of conservatism may lie in a  
13 particular analysis.

14 So if a particular -- a particular break  
15 location comes really really close to the margin one  
16 way or the other, there would be better support from  
17 their perspective about how conservative might that  
18 be?

19 MR. LAUER: I think Steve already talked  
20 about the -- we tried to build margin, or they tried  
21 to build margin, in the deterministic.

22 In the PRA models, when we do parameter  
23 uncertainty, maybe I'm wrong on this, but I don't  
24 believe we take every parameter, for example, success  
25 criteria. So you say this system can put out 1200

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 GPM. Realistically we only need 1,000 GPM.

2 MEMBER STETKAR: Right. But you can't --

3 MR. LAUER: We do not do a parametric  
4 uncertainty on that, and what we're looking at is this  
5 is a success criteria for the go/no go case where we  
6 hopefully have enough conservatism built into  
7 determining that number, and conservatism in assigning  
8 a conditional core damage probability of 1.0 if it's  
9 above the number.

10 I understand what you're saying, and I --  
11 I hope it's in the Reg Guide 1.82 that talks about the  
12 conservatisms, right?

13 MEMBER STETKAR: It talks about  
14 conservatism several places. I reread the whole thing  
15 on the plane, and -- and it -- it uses terms like  
16 "adequately bounding," some places it just uses the  
17 term "bounding," some places it says things like  
18 "sufficiently conservative to account for the very  
19 large uncertainties."

20 It is -- it says things like that. It  
21 doesn't say "always use an absolutely bounding,  
22 cannot-get-worse-than-this amount" --

23 MR. LAUER: Okay.

24 MEMBER STETKAR: -- for, you know. It  
25 says things like "sufficiently conservative," which to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me might -- to me might be, well, maybe there's only  
2 a five percent probability that it could be worse. To  
3 somebody else, it might say there's a, you know, a 49  
4 percent probability that it could be worse because as  
5 long as it's 51 percent that it could be better,  
6 that's sufficiently conservative. Those are very --  
7 they're not defined at all.

8 As far as success criteria, and again, it  
9 -- you can't -- it's true, success criteria, we don't  
10 try to evaluate the likelihood that I have 0.8 pump  
11 running, so, you know, I'll require one pump to be  
12 running, or -- or a 20 percent reduction in flow from  
13 a pump, what's the likelihood of that occurring? Many  
14 of the other parameter values we do propagate.

15 MR. LAUER: Definitely.

16 MEMBER STETKAR: So anyway, that's --  
17 that's my long monologue on uncertainty.

18 Yes sir?

19 VICE CHAIRMAN CORRADINI: Can I ask a  
20 question just to clarify?

21 So in the reg guide, the simplified  
22 approach, maybe I'm missing it, I can't tell the  
23 difference once I determine where the LOCA is, or the  
24 break is, excuse me, and the zone of influence, how  
25 the deterministic calculation is that much different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than 1.82. It looks essentially the same. Am I -- am  
2 I -- is that a fair characterization?

3 MEMBER STETKAR: It is the same.

4 VICE CHAIRMAN CORRADINI: Okay.

5 MEMBER STETKAR: It is the same. It  
6 points you to 1.82.

7 VICE CHAIRMAN CORRADINI: So then except  
8 for how I enter in how I wouldn't qualify for the  
9 deterministic calculation in 1.82, it is -- it's  
10 essentially a bounding calculation?

11 MR. SMITH: Yes.

12 VICE CHAIRMAN CORRADINI: Okay. So you're  
13 treating it -- well, let me just go one step further.  
14 So you're treating it essentially like an Appendix K  
15 calculation for the peak clad temperature?

16 MR. SMITH: Yes.

17 VICE CHAIRMAN CORRADINI: So turning back  
18 to John, if I were them, that's how I would have  
19 answered your point, which is --

20 MEMBER STETKAR: If indeed everything that  
21 they've used is bounding, but 1.82 uses terms like  
22 "adequately conservative to account for the broad  
23 uncertainties," "sufficiently conservative," and  
24 things. It doesn't say take a bounding value of the  
25 amount of debris or the flow rates or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 configuration of the operating -- there are other  
2 subtle things like what pumps do you have running,  
3 what pumps do you not have running, given the  
4 configuration of your particular containment, that  
5 South Texas went through all those permutations.

6 They determined there can be some odd  
7 combinations of what's running and not running that  
8 might have a different impact on core damage versus  
9 containment failure, depending on, you know, how your  
10 spray systems work.

11 VICE CHAIRMAN CORRADINI: Right, but the  
12 reason -- the reason I am --

13 MEMBER STETKAR: Which is another source  
14 of uncertainty, that it -- Reg Guide 1.82 doesn't  
15 necessarily tell me to take the worst possible  
16 combination of flows.

17 VICE CHAIRMAN CORRADINI: Nor does  
18 Appendix A for peak clad temperature. It says use  
19 this correlation, use this, use this, use this. So  
20 what I guess, to get to my point, is, and I'm not sure  
21 where I stand on it, it's just that I view Appendix K  
22 as a cookbook for what is a bounding calculation for  
23 peak clad temperature, and I'd use this as a cookbook  
24 save for what the break is and what the zone of  
25 influence is in that Appendix C, as a cookbook

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculation for blockage, either at the strainer or  
2 inside the core. Is that a fair characterization?  
3 Yes?

4 MR. SMITH: Yes.

5 VICE CHAIRMAN CORRADINI: Okay, fine.

6 MEMBER STETKAR: Except that remember,  
7 there aren't as many formula in 1.82. It says do  
8 sufficient testing to justify what values you've used,  
9 you know, and all it says is do sufficient -- and be  
10 careful that, depending on how you do the test, you  
11 might get different results.

12 The third item that I had, and this is  
13 kind of a somewhat more subtle and somewhat  
14 programmatic, if I use the simplified approach, it  
15 says use your base PRA to identify the scenarios that  
16 you're going to evaluate using the simplified  
17 approach. It doesn't tell me at all what I'm supposed  
18 to do with that, and as I just mentioned, for I know  
19 South Texas, depending on what particular combination  
20 of high-head pumps, low-head pumps, containment spray  
21 pumps I have running and the particular geometry of my  
22 containment floor and where the -- the debris is  
23 released, there might be some strange combinations of  
24 things that can lead to plugging that are not  
25 necessarily readily apparent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Most PRAs just simply say one train  
2 running is good enough. And -- and if I am -- if I am  
3 only selecting maybe what might be the worst train  
4 running, I might get the wrong answer because most  
5 likely, I've got everything running.

6           The PRA doesn't care about that because  
7 that's more than it needs for that purposes, but it  
8 might be worse for my particular analysis in my  
9 particular plant, especially if I've only got two  
10 trains of stuff.

11           So it is not clear that the guidance, to  
12 me anyway, doesn't really emphasize that in the  
13 simplified approach. It does address it, it does  
14 address it when we talk about the detailed approach.  
15 However, the -- the section of the detailed approach  
16 where all of that good guidance is -- is given says I  
17 don't need to care about it at all for the simplified  
18 approach. It's one of -- I don't remember, it's one  
19 of the A dash --

20           MR. FONG: -- 3, yeah.

21           MEMBER STETKAR: A-3. And I don't need to  
22 care about that at all for the detailed -- for the  
23 simplified approach.

24           The last point is that for the simplified  
25 approach, once I get done with the simplified

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approach, I now have justification, hopefully I pass  
2 all the criteria, I now have justification, staff  
3 accepts it, I have a plant that has sources of debris  
4 in it, and I have justified based on a risk-informed  
5 argument that that plant is acceptable and it can  
6 continue to operate in that configuration.

7 I see nothing in the guidance that says I  
8 now need to update my PRA so that it accounts for the  
9 actual as-built as-operated plant, because my base PRA  
10 didn't account for all of that debris.

11 There is a requirement that says every  
12 four years I need to go back and recheck all of this  
13 stuff, but ought the PRA not account for the actual  
14 plant? Once you get done with this, I mean, this is  
15 a risk-informed application.

16 MR. FONG: Yeah, I think, well, this was  
17 discussed back in March also --

18 MEMBER STETKAR: Yeah.

19 MR. FONG: -- and I think the term that  
20 was used during the Subcommittee meeting was that this  
21 reg guide is quote "surgically focused," and I liked  
22 that term, actually.

23 And the goal here was to determine the  
24 portion of risk attributable to debris and assess  
25 whether that meets the risk acceptance guidelines

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 strictly for the issue of addressing -- or strictly  
2 for the purpose of addressing 50.46(c) or the generic  
3 letter.

4 Where we are with PRA today is we're in an  
5 application-specific environment, and so we'll see  
6 different rules for PRA depending on whether you're  
7 talking about a significance determination process or  
8 a change to the licensing basis, and I think the rules  
9 to those have to govern how you use PRA in those  
10 particular situations.

11 MEMBER STETKAR: Well I guess we're going  
12 to get short on time here, so just for the record, I  
13 hope we're not trying to advocate, if I have six  
14 different applications, that I then have six different  
15 PRAs that are each specific to each of those  
16 applications, because that is not the sense of doing  
17 risk assessment.

18 MR. LAUER: No, but we are trying to do is  
19 not put a requirement in a reg guide that doesn't  
20 exist elsewhere. There's no requirement to update the  
21 PRA. If someone wants to come in for a certain  
22 application, certain applications like NFPA 805  
23 require to reflect the as-built as-operated plant, and  
24 that would be a legitimate thing, but we're not  
25 putting that kind of requirement in a regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guide.

2 VICE CHAIRMAN CORRADINI: So just to  
3 clarify, since I knew John's three points, what you're  
4 really saying is that I have the base PRA, I use it as  
5 -- and modify it per these sorts of rules of the road,  
6 the cookbook, I now submit to staff, staff looks at  
7 it, approves of it, it passes on a risk-informed  
8 basis, and that's the end of it? It's a specialized  
9 case of using the PRA in a modified form, but it never  
10 -- it will never go back and re-baseline what the PRA  
11 is?

12 MR. FONG: That's where our reg guide  
13 stops I think --

14 MR. LAUER: Stops, yeah.

15 MR. FONG: That's not the end of the  
16 story. I mean, there are other reg guides and  
17 guidance out there, for example, Reg Guide 1.200, Reg  
18 Guide 1.174, that talk about what your PRA has to look  
19 like, what initiating events are there, how it models  
20 the as-built as-operated plant.

21 In licensing space, you've got to track  
22 cumulative changes, et cetera, but our reg guide stops  
23 at figuring out the portion of risk that should be  
24 attributable to debris.

25 VICE CHAIRMAN CORRADINI: So if the CDF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 goes up or down in the base PRA, we'd never reflect  
2 it. It's only in the application here, in the  
3 specialized application?

4 MR. LAUER: When you say if it goes up or  
5 down --

6 VICE CHAIRMAN CORRADINI: In other words,  
7 I do some -- I follow Appendix B with Appendix C  
8 guidance, and I compute that the chance of the core  
9 damage from this event has decreased or increased as  
10 part of the risk-informed, that's the end of it. It's  
11 a specialized case. It doesn't reflect back on the  
12 base PRA?

13 MR. LAUER: Well, except --

14 MEMBER STETKAR: Just for the record, it  
15 won't go down.

16 VICE CHAIRMAN CORRADINI: I know.

17 MEMBER STETKAR: Okay.

18 VICE CHAIRMAN CORRADINI: But I am just  
19 saying generally.

20 MEMBER STETKAR: I think that, you know,  
21 I don't get it. I don't understand why the staff is  
22 reluctant to put that in there, but they are, so -- .

23 CHAIRMAN BLEY: Dr. Ballinger, you may  
24 need to move this forward.

25 MEMBER BALLINGER: Yes. I just keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at the clock. I keep looking at the clock.

2 Are you all set?

3 (No audible response.)

4 MEMBER BALLINGER: Then thank you. I  
5 think we need to have NEI folks, I think. Yeah.

6 MR. GEIER: Okay, good morning. I am  
7 Steve Geier from NEI, and I just have a few brief  
8 comments to make, and then I'll turn it over to Wayne  
9 Harrison to see if he has any additional comments  
10 based on what he already talked about.

11 I do appreciate the opportunity to address  
12 the ACRS on this reg guide.

13 So basically, from our perspective is that  
14 this guidance is very important to provide the  
15 guidance needed to provide for additional flexibility  
16 in using the risk-informed approach to address the  
17 effects of debris post-accident.

18 The goal of course from our perspective is  
19 to ensure that this reg guide does assist the plants,  
20 and particularly PWRs, in addressing their open issues  
21 that are affecting them.

22 We also looked at it from a BWR  
23 perspective, and BWRs really are not included in -- in  
24 the reg guide at this point, and I know CJ and Steve  
25 have been in discussion with the PWR side, and if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's additional guidance that's needed down the  
2 road, we can ensure that that gets -- gets added.

3 And basically, as already has been talked  
4 about, the reg guide is really set up to address the  
5 plants. In particular, STP is the pilot project to  
6 assist them with resolving the GSI-191.

7 And with that, I'm going to turn it over  
8 to Wayne. Wayne, if you have any additional comments  
9 to -- to address from the pilot plant perspective?

10 (No audible response.)

11 MEMBER BALLINGER: We haven't heard --

12 MR. GEIER: Wayne, you on the phone?

13 MEMBER BALLINGER: Not much crackling and  
14 popping, so I'm wondering whether it's still -- I  
15 think he's on a separate line.

16 CHAIRMAN BLEY: We'll try to get it open.  
17 Just a minute now.

18 (Pause.)

19 MEMBER BALLINGER: He was here before.

20 PARTICIPANT: The line is open, even if  
21 Wayne is not on it yet.

22 CHAIRMAN BLEY: Okay, thank you.

23 MR. GEIER: Well I did communicate with  
24 him, you know, during this meeting and after his  
25 statements, and he felt that he -- he had gone over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the comments that he intended to make --

2 CHAIRMAN BLEY: Okay.

3 MR. GEIER: -- and basically, he is  
4 supportive, and STP is supportive of issuing this reg  
5 guide. They feel it's important to assist them with  
6 moving forward with their submittal and resolving the  
7 GSI-191 as the pilot project.

8 MEMBER BALLINGER: Wayne, are you out  
9 there?

10 (No audible response.)

11 CHAIRMAN BLEY: There was a question  
12 earlier, Stephen, we were wondering if you know of  
13 other plants that are likely to use this in the near  
14 term, within the next six months or a year?

15 MR. GEIER: Yeah. This year, there's  
16 intended to be several other plants are lined up  
17 behind STP. STP is the pilot project, and they're  
18 taking the lead, and I believe the number is in the  
19 seven, seven range --

20 CHAIRMAN BLEY: Oh, okay.

21 MR. GEIER: -- that are going to be  
22 picking up, and after STP gets their application  
23 through, then the other plants will be coming in soon  
24 right after that.

25 MR. BLOSSOM: This is Steve Blossom from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 South Texas. There's 13 other units that are  
2 following us, representing seven additional companies.

3 MR. GEIER: That's the seven.

4 CHAIRMAN BLEY: That's the seven, okay.

5 MEMBER BALLINGER: So I think that's --  
6 you're done?

7 MR. GEIER: Yeah, anything additional,  
8 Steve, that you want to bring up?

9 MR. BLOSSOM: Which Steve? There's a lot  
10 of Steves.

11 MR. GEIER: Steve Blossom, sorry.

12 (Laughter.)

13 MR. GEIER: Steve, I don't know if you  
14 were on the line when Wayne did provide just an  
15 overview of his bullets, and just wonder from STP's  
16 perspective, Steve Blossom, do you have any additional  
17 comments or input?

18 MR. BLOSSOM: No, I don't. I can hear  
19 Wayne, but you can't hear Wayne, so I am not sure.

20 MR. GEIER: Gosh.

21 (Laughter.)

22 MR. BLOSSOM: To answer your question, I  
23 don't think Wayne had any additional comments, and  
24 neither do I.

25 MR. GEIER: Thank you.

1 MEMBER BALLINGER: I guess I'm confused  
2 now. I think the bridge line is open, I think. Is  
3 there anybody --

4 MR. HARRISON: This is Wayne. Can you  
5 hear me now?

6 PARTICIPANT: Yes.

7 MEMBER BALLINGER: Good. Do you have  
8 anything further to add?

9 MR. HARRISON: Nope.

10 (Laughter.)

11 MR. HARRISON: Just wanted to make sure  
12 you had the technology.

13 (Laughter.)

14 MEMBER BALLINGER: Okay. Is there anybody  
15 out on the bridge line that would like to make an  
16 additional comment? Might as well do that first, I  
17 guess.

18 (No audible response.)

19 MEMBER BALLINGER: I think it's open.  
20 Hearing none, are there any members of the audience  
21 here that would like to make a comment?

22 Sir, state your name and --

23 MR. GRISSOM: Yeah, I am sorry. Is this  
24 -- yeah, it's on.

25 Phil Grissom with Southern Nuclear, and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will be one of the next plants using this reg guide.

2 I just want to state that we've been  
3 working with the staff for a while and with South  
4 Texas and with the owners group, and all this is tied  
5 together, and I think -- think folks are really  
6 working to try to get it to resolution.

7 I have a couple of concerns, though,  
8 related to some of the questions that the ACRS had.  
9 I think it's rightly pointed out that this is  
10 basically, the way it's evolving, anyway, basically a  
11 deterministic calculation that uses LOCA frequencies  
12 to determine what sizes are important, and as such, it  
13 really, if you were to add this answer back into the  
14 PRA as part of your base model, I think there's a real  
15 likelihood it would overweight the importance of LOCAs  
16 because it's not -- in the end, it's not a best  
17 estimate consideration of debris effects of LOCAs or  
18 LOCA consequences the way it's headed now, certainly  
19 with the simplified approach.

20 Now that's acceptable for closing the  
21 issue, I believe, but if the real intent is to add  
22 this new intelligence back into a PRA, my belief is  
23 there's still some work to be done on how to make that  
24 happen without -- without really overemphasizing the  
25 importance of LOCA consequences.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   That's it.

2                   MEMBER BALLINGER: Thank you. Is there  
3 anybody else in the audience that would like to make  
4 a comment?

5                   (No audible response.)

6                   MEMBER BALLINGER: Hearing none, I turn it  
7 back over to the Chairman.

8                   CHAIRMAN BLEY: Thank you, Professor  
9 Ballinger.

10                   This marks the end of our morning session.  
11 For the Committee members, we have our own training  
12 session starting at 12:30. Please be back for that.  
13 And the next technical session of the Committee will  
14 begin at 2 o'clock. At this time, we'll recess until  
15 2 o'clock.

16                   (Whereupon, the meeting went off the  
17 record at 11:46 a.m. and resumed at 2:00 p.m.)

18                   CHAIRMAN BLEY: The meeting will please  
19 come to order. And we'll proceed with another session  
20 led by Professor Ballinger. Ron, please go ahead.

21                   MEMBER BALLINGER: Thank you, Mr. Chairman.  
22 It seems like only yesterday.

23                   CHAIRMAN BLEY: Yes.

24                   MEMBER BALLINGER: The purpose of this  
25 meeting is to receive a briefing on the framework for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the storage and transportation of spent fuel. And  
2 particularly we will hear about ISG spent fuel  
3 retrievability as well as NUREG-1927, Revision 1, on  
4 renewal for dry cask storage systems. We'll also hear  
5 -- will we hear from EPRI or anybody? We'll hear from  
6 NEI, right? We'll hear from NEI on the subject matter  
7 mentioned. We have had several meetings in the past  
8 on NUREG-1927 and the ISG, March 24 is the most recent  
9 one. We will now proceed with the meeting. I'll call  
10 Mark --

11 MR. LOMBARD: Yes.

12 MEMBER BALLINGER: -- Lombard, Director of  
13 the Division of Spent Fuel Management, to give a brief  
14 introduction and introduce the presenters.

15 MR. LOMBARD: Very brief. Thank you, Dr.  
16 Ballinger. We appreciate the opportunity to come  
17 before the full Committee today. As you know, we  
18 presented the two subject documents to the ACRS  
19 Subcommittee for Metallurgy and Reactor Fuels just  
20 about a week and a half or so ago, maybe it's been two  
21 weeks now, has it been two weeks, maybe not so, and  
22 received valuable feedback on both documents, both  
23 products that we're working on.

24 ISG-2 Rev. 2 is the first document we're  
25 going to talk about today. It's a broadening and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clarification of the definition of spent fuel  
2 retrievability, it revises the ISG-2 Rev. 1 and a  
3 definition which was written after the definition that  
4 we issued to the Commission back in 2001. We have  
5 made changes to it in response to the Subcommittee's  
6 comments and we really appreciate those comments and  
7 we have provided the revised document back to the ACRS  
8 and we trust that the changes resolved the  
9 Subcommittee's comments, but if you have further  
10 comments, I look forward to hearing those as well.

11 NUREG-1927, it's the first and a critical  
12 piece of the revised renewal framework for CoCs and  
13 ISFSIs that's been developed over the last two plus  
14 years only through extensive collaboration with NEI,  
15 industry, and other members of the public. We are  
16 very proud of the work that's been done on 1927 Rev.  
17 1, and on ISG-2 Rev. 2, of course. The collaboration  
18 included our review of NEI Guidance 1403, which you  
19 heard about at our last meeting with the Subcommittee  
20 and you'll hear a little bit more about it today.

21 And our plan is, and I want to be clear  
22 about this, our plan is, because we agree with the  
23 concepts in 1403, we're looking at the details now,  
24 our plan is to endorse it at least in part and  
25 hopefully in whole in a future Regulatory Guide, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is our formal process for doing so. But I want to be  
2 clear that we do appreciate the collaboration, the  
3 collaborative process we have been implementing over  
4 the two plus years. The industry has really worked  
5 very hard with us on both the 1403 document and the  
6 1927 document, and soon to be the MAAPs document,  
7 which will be out for public comment in the near  
8 future, and we're very happy with both guidance  
9 documents. And again, we're looking at the details of  
10 1403 and hope to provide that endorsement in the near  
11 future.

12 NUREG-1927 Rev. 1 is critical for use by  
13 applicants and NRC reviewers as we build this new  
14 regulatory framework for renewals to be useful, not  
15 just for the NRC Staff, but also for applicants in  
16 coming up with a generic way to approach renewals in  
17 the future, and eventually with NUREG-1927 Rev. 1 and  
18 the MAAPs report, there will essentially be a pick  
19 list like system for people coming in for renewals,  
20 they'll be able to pick from and they'll be pre-  
21 reviewed by NRC Staff already and should speed up the  
22 renewal process significantly as we go forward. So,  
23 without further ado, we have several experts up here  
24 this afternoon. Emma Wong is going to talk to you  
25 about ISG-2 Rev. 2. Kris Banovac, in her normal spot,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talking about 1927 Rev. 1, coming to be the near final  
2 draft. And then Kris Cummings will provide industry  
3 perspectives. So, take it away Emma.

4 MS. WONG: Sure. Thank you, Mark. So, as  
5 Mark already had mentioned, I'm going to be talking  
6 about the Interim Staff Guidance 2 Revision 2, which  
7 is on fuel retrievability and spent fuel storage  
8 applications. So, for this ISG-2, one of the  
9 applicable regulations is 10 CFR 72.122(1), which is  
10 on retrievability, and it's only applicable to general  
11 and specific license ISFSIs. Now, this regulation  
12 states that storage systems must be designed to allow  
13 ready retrieval of spent fuel, high level radioactive  
14 waste, and reactor related greater than Class III  
15 waste for further processing or disposal. Now, I'd  
16 like to emphasize here that retrievability really is  
17 the design to allow ready retrieval and that's kind of  
18 what the focus of the ISG is on.

19 Another applicable regulation is 10 CFR  
20 72.236(m), which is applicable to Certificates of  
21 Compliance, so not the general or specific licensees,  
22 it's the Certificates of Compliance. And this  
23 regulation states, to the extent practicable in the  
24 design of storage casks, consideration should be given  
25 to the compatibility with removal of stored spent fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the reactor site, transportation, and ultimate  
2 disposition by the Department of Energy. So, what  
3 this really means is retrievability should be  
4 considered to the extent practicable when you're  
5 designing a Certificate of Compliance for a dry  
6 storage system.

7 So, first, a lot of our guidance has been  
8 in Interim Staff Guidances, specifically ISG-2, and  
9 these ISGs still exist because they have not been put  
10 into the SRPs fully yet. So, I'm basically going to  
11 just talk about the ISGs. So the first Guidance,  
12 which was issued in 1998, was ISG-2 Rev. 0. And in  
13 this Revision, it explained the origin of the rule and  
14 how it came into the regulations and that dual purpose  
15 of canisters were a means to meet retrievability,  
16 since it could be taken out of and off of the storage  
17 area and be put into a transportation cask without  
18 having to handle the individual fuel assemblies at all  
19 or the canned spent fuel.

20 Later, this was superseded by Revision 1  
21 of ISG-2, which was issued in 2010. To meet  
22 retrievability in Revision 1, it states that you must  
23 have the ability to move the canister or a cask to a  
24 transportation package or location where the spent  
25 fuel can be removed and -- and the critical thing is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "and" because both things have to be met -- and the  
2 ability to handle individual spent fuel assemblies by  
3 normal means. And this revision of the ISG reflected  
4 a time of a near-term repository and it was thought  
5 that the fuel would be stored for up to 40 years or  
6 one to two storage terms.

7 With the change in the paradigm to longer  
8 storage, which is kind of where we are now, there may  
9 be unintended consequences for needing to access the  
10 internals to confirm long-term performance for  
11 retrievability. Therefore, because we are moving to  
12 longer term storages, we thought it would be good to  
13 reevaluate the retrievability Guidance. And due to  
14 this, we have had a lot of public interaction to get  
15 stakeholder feedback, we've had lots of public  
16 meetings and we have solicited public comments twice.

17 As you can see here, it looks like from  
18 2011 to 2013, we had a lot of interaction and then  
19 there's a gap until 2015. Well, that gap was for the  
20 storage license renewal to get their work to be  
21 accelerated. And once we were at a good place with  
22 that, we restarted the reevaluation of retrievability  
23 in 2015. Of course, a lot of this has already been  
24 heard at our ACRS Subcommittee meeting that we had on  
25 March 23, where we received a lot of good comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that were considered in the draft, and of course we're  
2 here today at the full Committee meeting. And all the  
3 comments that we got from the public, all the comments  
4 from the meetings and the Subcommittee meeting for  
5 ACRS, we have incorporated all of those into our ISG.

6 So, the Draft Revision 2, because it's not  
7 yet final, focuses on the safety and design basis to  
8 allow maximum flexibility to maintain safety for an  
9 undefined storage duration. Also, it is to continue  
10 to protect public health and safety and ensure that  
11 the spent fuel can be retrieved from its storage  
12 location safely for further processing and disposal.  
13 Of course, also in this Guidance we felt that we  
14 needed to provide additional guidance to our staff on  
15 how to look at retrievability and how licensees can  
16 meet retrievability in licensing reviews.

17 CHAIRMAN BLEY: Can I take you back a  
18 couple slides --

19 MS. WONG: Sure.

20 CHAIRMAN BLEY: -- to that requirement for  
21 being able to handle individual spent fuel assemblies  
22 by normal means?

23 MS. WONG: Yes.

24 CHAIRMAN BLEY: Does that imply there's  
25 some kind of a machine that's set up that can always

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 open these things up and get inside?

2 MS. WONG: What that means is you should be  
3 able to pull out the individual fuel assembly from its  
4 basket or cell location just by a craning grapple.  
5 So, no cutting tools, no extraordinary measures. So,  
6 if it happens to get stuck and you can't just pull it  
7 out, you basically have not met retrievability.

8 CHAIRMAN BLEY: Okay.

9 MS. WONG: However, we have been in  
10 conversations with industry and they have methods that  
11 they have proven that they can get the fuel out by, I  
12 guess, not what we would consider normal means, but  
13 they have been proven means.

14 CHAIRMAN BLEY: Well, that's what I was  
15 hoping to hear, that that's more what it means. So --

16 MS. WONG: Well, the way that it was  
17 defined in this particular Guidance, it was just  
18 craning grapple, which --

19 CHAIRMAN BLEY: Okay.

20 MS. WONG: -- we felt was a little  
21 restrictive, since it has been proven that they can do  
22 it safely to do it by proven means and safe means. So  
23 that's one of the things that we wanted to change, to  
24 allow that, that that would not preclude you from  
25 meeting retrievability.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: So, I guess I'm a little  
2 confused. What does it mean, you wanted to change?

3 MS. WONG: So, we would allow, as long as  
4 you can perform that removal safely, and it doesn't  
5 need to be by normal means, as long as you can do it  
6 safely, then if you can remove the fuel, then you have  
7 met that part.

8 CHAIRMAN BLEY: Okay. And your intent  
9 would be that that's the kind of guidance that would  
10 be in the permanent Guidance as opposed to the --

11 MS. WONG: Correct. Right. So this is the  
12 current Revision 1, I'm going to get to what we are  
13 proposing and what we have -- well, it's out there in  
14 the public right now as a Draft Revision 2 --

15 CHAIRMAN BLEY: Revision 2, still to the  
16 ISG though? Okay.

17 MS. WONG: It's all for the ISG. But that  
18 is a very good question because it's one of the points  
19 that led us to reevaluating this Guidance. So, again,  
20 retrievability is based on the ability to perform  
21 ready retrieval, like we've just been talking about.  
22 And in Revision 2 of ISG-2, ready retrieval has been  
23 redefined. So, it's now the ability to safely remove  
24 the spent fuel from storage for further processing or  
25 disposal. And you have a few options now. And it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ability to do one or a combination of the  
2 following, you can perform them in any sequence, in  
3 any combination that you need to.

4 Option A is to remove the individual or  
5 canned spent fuel assembly from wet or dry storage.  
6 Notice that the words normal means no longer appear  
7 and it's all about safety. Option B is to remove the  
8 canister loaded with spent fuel assemblies from a  
9 storage cask or overpack. And then Option C is to  
10 remove a cask loaded with spent fuel assemblies from  
11 a storage location. B and C, it really depends on  
12 whether you have a canister onsite or you have a cask  
13 onsite. Those are the only reasons that they're kind  
14 of distinct there.

15 I should note that all sites currently,  
16 all dry storage sites currently are using Options A  
17 and B or C. So they've all committed, like in  
18 Revision 1, to have a way to remove the individual  
19 spent fuel assemblies. Now it's not by normal means,  
20 it's by a safe means. And whether they have a cask or  
21 canister, you would choose B or C. For wet storage,  
22 there is one wet storage ISFSI that we do have, they  
23 would obviously choose option A because they do not  
24 have a cask or canister that will be moved around in  
25 their spent fuel pool. And the last option that can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be chosen is you choose B or C, depending on if you  
2 have a cask or canister, and as long as you can safely  
3 remove it to start going to transportation or whatever  
4 action that you need to take next, that would also  
5 meet what we would define as ready retrieval for  
6 retrievability. Yes?

7 MEMBER RICCARDELLA: Help me with the  
8 terminology, do the casks in C have a canister inside  
9 them or not?

10 MS. WONG: They do not necessarily have a  
11 canister, but Bernie over here will be answering that  
12 question more fully.

13 MR. WHITE: Yes. I'm Bernie White, Senior  
14 Project Manager in the Division of Spent Fuel  
15 Management. So, in Option B, you have a dual-purpose  
16 canister that is located in an overpack, concrete  
17 overpack that's vented. Option C is designed where  
18 you have a cask, which may or may not have a canister,  
19 but it's a bolted lid cask, so it looks more like a  
20 transportation package if you will, thick wall, thick  
21 walled lid that you can just put impact limiters on  
22 and ship offsite. That's the differentiation between  
23 the two.

24 MS. WONG: All right.

25 MEMBER RICCARDELLA: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. WONG: Great. All right. So those are  
2 basically a lot of the combinations you can choose.  
3 And basically, that's the end of my presentation about  
4 that, because that is the major change that was in  
5 ISG-2 Revision 2. If everything goes according to  
6 schedule, it should be issued final this summer. And  
7 I would like to, I guess, reiterate, we were not  
8 asking for a formal letter from the full Committee,  
9 but I leave it up to you whether or not you would like  
10 to write a letter. So, if you have any questions or  
11 additional comments for my consideration, that would  
12 be wonderful. It's really a short ISG.

13 MEMBER BALLINGER: The last meeting that we  
14 had, I thought I asked this specific question, do you  
15 want a letter, and I thought that I got an answer of  
16 yes. So now you're -- I was obviously wrong.

17 MR. LOMBARD: We want to be respectful to  
18 the Committee --

19 (Laughter.)

20 MS. WONG: We may have had some  
21 miscommunication there and that's okay. But if you  
22 would like to write a letter, I'm --

23 MEMBER BALLINGER: Okay.

24 MS. WONG: -- okay with that.

25 MEMBER BALLINGER: I just thought I'd be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clear on that because --

2 (Laughter.)

3 MS. WONG: If you've already spent time, we  
4 will be okay with a letter too.

5 MR. LOMBARD: I believe there was a  
6 discussion, after the formal presentation, that  
7 perhaps the Committee should write a letter on ISG-2.  
8 And we were in agreement with that.

9 MEMBER REMPE: Actually, I think when we  
10 were discussing it --

11 MEMBER BALLINGER: Okay. Now, I'm confused  
12 again.

13 MEMBER REMPE: -- we said it should be --  
14 I think what we said at the end of the discussion was  
15 it ought to brought to the full Committee --

16 MEMBER BALLINGER: Right, yes.

17 MEMBER REMPE: -- to decide if --

18 MEMBER BALLINGER: That's exactly what I  
19 meant.

20 MEMBER REMPE: -- a letter is needed, is  
21 the way that the discussion ended.

22 MS. WONG: That's how I understood it.  
23 However, if there was some miscommunication, that's  
24 okay, we're here.

25 MEMBER BALLINGER: But what I thought I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 heard was your preference, before the full Committee.  
2 That's what I thought I heard. Okay, that's fine.

3 CHAIRMAN BLEY: We have the preference now  
4 that they don't need one. But we can talk about that  
5 after this session is finished.

6 MEMBER BALLINGER: Yes, okay.

7 MS. WONG: If no one has any questions or  
8 comments, I will turn it over to Kris.

9 MS. BANOVA: Thank you, Emma. Let me just  
10 cue up the next presentation. Okay. So my name is  
11 Kris Banovac and I'm a Project Manager in the Renewals  
12 and Materials Branch in the Division of Spent Fuel  
13 Management at the NRC. And I'm pleased to be here  
14 today to provide an overview of the proposed final  
15 NUREG-1927 Revision 1. And that is the Staff Standard  
16 Review Plan for Renewal of Specific Licenses and  
17 Certificates of Compliance for Dry Storage of Spent  
18 Nuclear Fuel. In my brief talk today, I'll briefly  
19 review the spent fuel storage renewal requirements and  
20 guidance, I'm going to provide some background on why  
21 we developed and what we considered in the development  
22 of Revision 1 to NUREG-1927, and then I'll highlight  
23 just a few of the changes that we made in Revision 1  
24 of NUREG-1927.

25 I'd first like to review NRC's

1 requirements for renewal of specific licenses for  
2 Independent Spent Fuel Storage Installations, or  
3 ISFSIs, and Certificates of Compliance, or CoCs, for  
4 storage system designs. NRC regulations allow for  
5 renewal of ISFSIs and storage system designs for a  
6 period not to exceed 40 years, given that specific  
7 regulations that ensure that the storage systems  
8 continue to perform their intended functions as  
9 designed are met for the period of extended operation.

10 Renewal applications must include time  
11 limited aging analyses, or TLAAs, and those consider  
12 the effects of aging on structures, systems, and  
13 components, or SSCs, important to safety, and it  
14 assesses their capability to continue to perform their  
15 intended functions in the period of extended  
16 operation. Renewal applications must also include a  
17 description of the Aging Management Program and that  
18 would be for management of aging issues that could  
19 adversely affect the SSCs important to safety. In  
20 order for the NRC to approve storage renewals,  
21 licensees need to demonstrate that any aging effects  
22 on dry storage systems can be safely managed and  
23 addressed so that they do continue to perform their  
24 intended functions in the period of extended  
25 operation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In February 2011, we updated 10 CFR 72 to  
2 include those specific requirements and also at that  
3 time, we issued the accompanying guidance for the  
4 Staff Safety Reviews of renewal applications and we  
5 published that in March 2011 and that's currently  
6 located in NUREG-1927 Revision 0. So, since the  
7 original issuance of NUREG-1927, the Staff has  
8 reviewed several renewal applications for both  
9 specific ISFSI licenses and also CoCs for storage  
10 system designs. And so, through those reviews, we had  
11 a chance to use and test the guidance in Revision 0  
12 and we found that the guidance needed to be expanded  
13 and clarified in several areas. And we are also  
14 expecting to receive 15 renewal applications over the  
15 next several years.

16           And so, what we did is establish a storage  
17 renewal team that consisted of members throughout the  
18 NRC to look at our current storage renewal framework,  
19 as Mark had mentioned, to determine what changes were  
20 needed. We did identify a high priority need to  
21 update the guidance in NUREG-1927 and we also  
22 identified a need for development of other guidance,  
23 and we did talk about that in detail at the March 23  
24 Subcommittee meeting.

25           For NUREG-1927 revision, we have had

1 extensive engagement with stakeholders throughout the  
2 process. We received valuable stakeholder input at  
3 many NRC sponsored meetings on renewal topics,  
4 including two public meetings that were focused  
5 specifically on the changes we were considering to  
6 NUREG-1927. We also coordinated with the ACRS  
7 Subcommittee on Metallurgy and Reactor Fuels. We  
8 originally met with the Subcommittee in April of last  
9 year, and that's when we came to talk about the Draft  
10 Revision 1, and then of course we met again a couple  
11 weeks ago to talk about the changes that we're putting  
12 forward in the proposed final Revision 1, after we  
13 consider the public comments that we received.

14 We did publish the Draft Revision 1 for  
15 public comment in July of last year and we considered  
16 all of the public comments that we received in  
17 preparation of the proposed final Guidance. And in  
18 addition, we also developed responses to all of the  
19 stakeholder comments that we received and we provided  
20 those also to the ARCS in preparation for the  
21 Subcommittee and this full Committee meeting. And we  
22 do plan to publish the final responses to the public  
23 comments when we do publish the final Revision 1.

24 This slide lists the structure and the  
25 format of Revision 1, which is for the most part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistent with Revision 0. In the Front Matter, it  
2 includes the abstract, abbreviations, and  
3 introduction. Chapter 1 is on the general information  
4 review. Chapter 2 is on the scoping evaluation, and  
5 that's the part of the renewal application that  
6 identifies the SSCs that are within the scope of  
7 renewal and, therefore, those are the SSCs that are  
8 reviewed further for the aging mechanisms and effects.

9 Chapter 3 of the Guidance is really the  
10 core of the Guidance. And it's on the aging  
11 management review, which is the process that's used to  
12 address the applicable aging mechanisms and effects  
13 that could adversely impact the SSCs that scope into  
14 the renewal and it proposes the appropriate aging  
15 management activities to address those aging effects.  
16 We added a list of consolidated references as a new  
17 Chapter 4. We also moved the definitions, which were  
18 in the Front Matter of Revision 0, to the new Chapter  
19 5 glossary and we did make some updates and  
20 clarifications to several definitions.

21 And to discuss the appendices, we reviewed  
22 the five appendices that were in Revision 0 of NUREG-  
23 1927 and we did make some changes in Revision 1. We  
24 kept Appendix A, which was on non-quantifiable terms,  
25 but we actually deleted the other appendices as we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 found that those were not useful to the Staff's review  
2 process. In their place, we created some new  
3 appendices that we think provide useful guidance for  
4 the Staff and applicants. We developed three example  
5 Aging Management Programs related to spent fuel  
6 storage and we included those in Appendix B of  
7 Revision 1. Appendix C in Revision 1 is just  
8 currently reserved for future use.

9 And in Appendix D, we incorporated  
10 guidance from Interim Staff Guidance 24, which was  
11 issued in 2014, and that provides guidance on the use  
12 of a high burnup fuel surveillance program for  
13 monitoring fuel performance in the period of extended  
14 operation. In Appendix E, we included some  
15 information specific to CoC renewals, including  
16 information on the responsibilities of the CoC holders  
17 in the development of the AMPs and the TLAAs in the  
18 application, and then also the responsibilities of the  
19 general licensees in implementing the AMPs of the  
20 renewed CoC that they're using at their particular  
21 site. Finally, in Appendix F, we provided information  
22 on storage terms and the calculation of the length of  
23 the storage term of a dry storage system that's either  
24 loaded in the initial storage period of a CoC or  
25 during the period of extended operation of a CoC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We did make updates and clarifications  
2 throughout NUREG-1927, I don't think there's a page  
3 that we didn't make a change on. And just in the  
4 interest of time, I'm going to just highlight some of  
5 the more substantive changes that we considered for  
6 Revision 1. So in Chapter 1, which is the general  
7 information review, we did expand the guidance on  
8 application content, and particularly we added some  
9 guidance for CoC renewal applications as we felt that  
10 was lack in Revision 0. We added a section on timely  
11 renewal and these timely renewal provisions exist in  
12 Part 72, where if the applicant has submitted a timely  
13 application, the license for the CoC does not expire  
14 until the NRC has made a final decision regarding the  
15 renewal.

16           We added guidance on how aging management  
17 should be considered in the case of concurrent  
18 amendment applications and renewal applications, and  
19 also amendment applications that are submitted for a  
20 license or CoC after we have renewed it. We also  
21 added guidance on terms, conditions, or specifications  
22 that may be added to specific licenses or CoCs as part  
23 of their renewal.

24           In Chapter 2, on the scoping evaluation,  
25 in Revision 1, we clarified sources of information and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the specific content that can support the scoping  
2 evaluation. We expanded guidance for review of SSC  
3 subcomponents and scoping of fuel assemblies, and also  
4 identifying SSCs that are within the scope of renewal.  
5 And we clarified that the guidance on scoping of SSCs  
6 really depends on whether an SSC is considered part of  
7 the design basis for that particular license or that  
8 CoC. And in this chapter, we also clarified guidance  
9 for ensuring that any SSCs that were excluded from the  
10 scope of renewal, that there was a proper  
11 justification for that in the renewal application.

12 In Chapter 3, which is, as I mentioned,  
13 sort of the heart of NUREG-1927, it was greatly  
14 expanded in Revision 1. And this chapter includes the  
15 guidance on the aging management review and also  
16 details on the TLAs and AMPs. We expanded guidance  
17 on identification of materials and environments for  
18 SSCs and SSC subcomponents. We added reviewer  
19 guidance for assessing environmental data, so that you  
20 can determine the service and the operating conditions  
21 of the SSCs.

22 We also expanded guidance on  
23 identification of aging mechanisms and effects to  
24 address valid sources of information that could be  
25 used by the applicant to identify the applicable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 degradation modes, including the use of inspection  
2 results, site-specific and industry-wide operating  
3 experience, consensus codes and standards, and also  
4 other applicable NRC guidance and generic  
5 communications. We expanded discussion on aging  
6 management review for fuel assemblies. We also  
7 expanded the TLAA guidance for identification and  
8 review of TLAAAs. We expanded discussion on each of  
9 the ten AMP elements, and the ten AMP elements were  
10 already in Revision 0, but we expanded the discussion  
11 on each of the elements and what reviewers should be  
12 looking for in the renewal applications.

13 We also provided guidance on this idea of  
14 learning AMPs and the thought is that a learning AMP  
15 would continuously respond to relevant operating  
16 experience in the period of extended operation and the  
17 guidance discusses how applications should include  
18 plans for future and periodic reviews of operating  
19 experience to confirm the effectiveness of the Aging  
20 Management Programs or make any changes as needed. We  
21 also included a discussion of specific concepts that  
22 were proposed by industry in NEI-1403. And this is a  
23 parallel effort by industry to develop guidance for  
24 storage renewal applicants, which the NRC Staff is  
25 currently reviewing for potential endorsement, as Mark

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned and as Kristopher Cummings will speak more  
2 to in his presentation.

3           The two concepts that we included in  
4 NUREG-1927 were the use of periodic assessments of  
5 operating experience in the period of extended  
6 operation, and these would be above and beyond the  
7 normal assessments of operating experience that are  
8 conducted as part of the licensee's quality assurance  
9 programs. We also included the idea of aggregating  
10 and disseminating operating experience across the  
11 storage industry, and that would be through the use of  
12 an operating experience clearinghouse or database.  
13 And so, Revision 1 provides reviewer guidance for  
14 applications that may use those concepts.

15           So, also in Chapter 3, we added guidance  
16 on how a pre-application inspection can support the  
17 aging management review by assisting the applicant in  
18 identifying what are the applicable aging mechanisms  
19 and effects, and it could also inform the development  
20 of the applicant's AMPs for their application. And as  
21 I mentioned on the previous slide, we expanded the  
22 discussion on the aging management review for fuel  
23 assemblies, and so this consolidated the Revision 0  
24 discussion of retrievability.

25           Also in Chapter 3, we added a new section

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on commencement of AMPs for CoC renewals, and this  
2 links to the new Appendix F, which discusses storage  
3 terms for systems that are loaded under a CoC. And  
4 finally, we added a new section on implementation of  
5 AMPs, and this considers licensees and CoCs that may  
6 be in timely renewal and how that could impact the  
7 timing for their development of the infrastructure for  
8 AMP implementation, such as their procedures, and also  
9 actual implementation of different aging management  
10 activities that may be outlined in the AMPs. So, we  
11 did really make some extensive changes throughout  
12 Chapter 3 in Revision 1.

13 I'll now jump to the appendices in  
14 Revision 1. So, as I noted earlier, we did delete  
15 some of the appendices in Revision 0 that we found  
16 were not useful, but in their place, we did create  
17 some new appendices that we feel provides useful  
18 information to Staff and applicants. And one of the  
19 changes I want to highlight in appendices is in  
20 Appendix B. We developed three example AMPs.

21 One of them is for localized corrosion and  
22 stress corrosion cracking of welded stainless steel  
23 dry storage canisters. Also, we developed an AMP on  
24 reinforced concrete structures. And then finally, a  
25 high burnup fuel monitoring and assessment program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The AMPs are based on consensus codes and standards  
2 where practicable. They do use achievable and  
3 actionable acceptance criteria and they also rely on  
4 the existing licensee's quality assurance programs and  
5 corrective action programs to maintain the SSCs'  
6 intended functions in the period of extended operation  
7 and take corrective actions as needed to do so.

8 And so, in conclusion, I just want to  
9 mention our path forward for NUREG-1927. We will  
10 await the ACRS letter after this meeting, and it  
11 sounds like maybe we may get that in a month or so  
12 time frame. And then after that, we'll make any final  
13 changes that are needed to Revision 1 of NUREG-1927  
14 and then we would expect to publish that, and hope to  
15 publish that by June of this year. And my last couple  
16 of slides just include a list of references and  
17 acronyms that I use. So, I'll be happy to take any  
18 questions that the Committee has.

19 CHAIRMAN BLEY: Is there anything risk or  
20 accident release related thinking that drives this  
21 plan? I'm looking at a parallel plan for reactors,  
22 which in terms of paper is a lot more paper than you  
23 have here, but in terms of programs and the like,  
24 there's a lot of things I would think is similar and  
25 I'm wondering what drives the extent to which these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 aging management requirements have been developed. I  
2 didn't attend the Subcommittee meeting, so I missed  
3 out on those discussions.

4 MS. BANOVA: So the Aging Management  
5 Programs, it would need to address any aging effects  
6 for the SSCs to make sure they continue to meet their  
7 safety functions. So, safety functions in Part 72 are  
8 sub-criticality, confinement, and also shielding, to  
9 meet those limits. So those are the three main safety  
10 functions. And we also include structural integrity,  
11 heat removal, and retrievability, to a certain extent.  
12 And so, depending on the component or the  
13 subcomponent's function, which safety function they're  
14 meeting, and sometimes they may serve several  
15 functions, any aging effects that could impact them  
16 meeting that safety function would need to be managed.

17 CHAIRMAN BLEY: Okay. So it's focused on  
18 all of the requirements that spin out of the  
19 regulation itself?

20 MS. BANOVA: Yes.

21 CHAIRMAN BLEY: Okay. And no other kinds  
22 of considerations?

23 MR. CSONTOS: Well, let me add one thing.  
24 This is Al Csontos from the Staff. So, one of the  
25 things we did do is look at, we're not requiring every

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 canister, 2,600-ish that are out there now, to be  
2 inspected. We're going through a sampling program, so  
3 there is a -- we're not risk-based, we're not using a  
4 full PRA right now type of deal to make our decisions,  
5 but we have risk-informed ourselves during the process  
6 of making these example AMPs to incorporate similar  
7 types of areas where there is like risk-informed ISI  
8 of different lines in reactors that are not as risk  
9 significant as a Class I or some other areas. So,  
10 therefore, what we did was we went through sampling  
11 approach for what we think would be okay. So, whereas  
12 it's not explicitly, it is implicitly included in our  
13 evaluation and in the Guidance.

14 CHAIRMAN BLEY: Okay. And that's -- I read  
15 this pretty quickly, but the sampling that's required  
16 is laid out in the NUREG?

17 MR. CSONTOS: The sampling is we're  
18 deferring that to the ASME code and qualification  
19 process, but we're saying that you don't need to  
20 necessarily inspect at one time all the canisters.  
21 You can have a criteria that you develop to looking at  
22 the various individual degradation modes and then,  
23 from there, you can then -- what you learn, that's  
24 where the learning aspect of the Aging Management  
25 Programs that we were talking about, whatever you find

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and you put into your Corrective Action Program, you  
2 will then have to expand or limit the types of exams  
3 that you're going to be expanding to later on, if you  
4 find something. But it's really one of, what you  
5 learn will impact how you gain your experience, that  
6 gaining experience goes into how you're going to do  
7 the AMP later on or updating the AMP or inspections  
8 and such. But the sampling, as of right now, we're  
9 not asking for all canisters --

10 CHAIRMAN BLEY: So this is kind of the  
11 learning AMPs thing that you mentioned, that's where  
12 that comes up?

13 MR. CSONTOS: Sure.

14 CHAIRMAN BLEY: Go ahead.

15 MEMBER RICCARDELLA: So is the ASME working  
16 on a case --

17 MR. CSONTOS: Correct.

18 MEMBER RICCARDELLA: -- or appendix?

19 MR. CSONTOS: There is a code case right  
20 now, Section 11, it's about 60 participants from  
21 vendors, NEI, DOE, ourselves, and all sorts of  
22 contracting organizations participating in that code  
23 case.

24 MEMBER RICCARDELLA: Under Section 11?

25 MR. CSONTOS: Under Section 11.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RICCARDELLA: Thank you.

2 MR. LOMBARD: If I might add also, it's not  
3 a parallel effort, it's just another effort and  
4 initiative we have going on in the Division of Spent  
5 Fuel Management is to build a regulatory framework,  
6 risk-informed regulatory framework, for spent fuel  
7 storage going forward. And we have talked with the  
8 Subcommittee about that, we'll have a meeting in mid-  
9 May to talk with some of the --

10 MEMBER BALLINGER: I think it's May 18.

11 MR. LOMBARD: May 18?

12 CHAIRMAN BLEY: Oh, okay.

13 MR. LOMBARD: That's great and --

14 CHAIRMAN BLEY: Yes. We talked about that,  
15 it's been a year --

16 MR. LOMBARD: It's probably been a year  
17 since we first talked about that, yes.

18 CHAIRMAN BLEY: Yes, okay.

19 MR. CSONTOS: Right. And I think that's a  
20 good way to say, we are trying to figure out this  
21 process going forward, but at the time when we were  
22 starting to develop this, two and a half years ago,  
23 that was something we had on the horizon and we had to  
24 do something now to address the renewals.

25 CHAIRMAN BLEY: Yes. My memory is, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just had the basics of the framework kind of laid out  
2 the last time we talked.

3 MR. LOMBARD: Kind of laid out, yes.

4 CHAIRMAN BLEY: Kind of laid out, yes.  
5 Tuned up a little from the first time and --

6 MR. LOMBARD: Yes.

7 CHAIRMAN BLEY: Okay.

8 MR. LOMBARD: Exactly.

9 MEMBER REMPE: So, just for clarification,  
10 some of the AMPs depend on research that's ongoing.  
11 Some of that research is funding through industry,  
12 EPRI or whatever, but some of it you cooperative with  
13 and some of it you participate to make sure that the  
14 results from that research come out correct, but could  
15 you elaborate which ones that you're actually -- are  
16 you doing some stand alone research for this? Could  
17 you talk a little bit about --

18 MR. CSONTOS: Sure.

19 MEMBER REMPE: -- some the R&D you did?

20 MR. CSONTOS: For the high burnup demo, for  
21 example, that is a DOE program, a research program.  
22 What we've done is, we've participated in the front-  
23 end of it. We cannot participate during the middle of  
24 it because we're doing the review of the cask that the  
25 high burnup fuel will be placed in and all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature and all the probes and everything that  
2 will be placed into. So, we have to recuse ourselves  
3 at some point. But at the beginning, to talk about  
4 what are the things that we would like as part of such  
5 a task and what kind of -- we like to call it, it's  
6 not research, it's more of a surveillance check.  
7 Similar to, as many people know, like the reactor  
8 pressure vessels, doing a surveillance check of the  
9 materials, because you go and you do a test after so  
10 many years of irradiation, see if the material  
11 properties are the same.

12 Well, in that case, it's similar in that  
13 regard to this case where what we're doing is we're  
14 setting this cask aside, putting high burnup demo in  
15 there or high burnup fuel in there, taking a look  
16 after ten years to see if anything happens. In the  
17 middle of that, what we said is, well, we would like  
18 to see gas samples to see if anything is happening or  
19 not. And so, these are things that we, at the front-  
20 end, said would be helpful to us. The industry went  
21 off through DOE to go and develop that program  
22 themselves. It's now before us for review for that  
23 specific cask at North Anna.

24 And so, that we can't talk about, because  
25 it's a separate review process, but we will be very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interested in seeing what those results are in ten  
2 years because a lot of the licenses, the last two  
3 licenses to have as part of their AMP, one of them has  
4 a condition saying, we need to see what's going on  
5 there to then see what's going to happen for the high  
6 burnup fuel as it goes into the period of extended  
7 operation. And so, right now, the high burnup fuel  
8 that's being loaded, it has been very recent. And so,  
9 by the time we get the recent results, those high  
10 burnup casks that are out there now will not have gone  
11 into their period of extended operation because they  
12 wouldn't have -- so, that's why we're able to have  
13 this surveillance as a tool for us to go forward. So,  
14 I like to call it a surveillance check.

15 MEMBER REMPE: Okay. Now, with chloride  
16 induced stress corrosion, how does that work and how  
17 does NRC participate in that one?

18 MR. CSONTOS: Sure.

19 MEMBER REMPE: Which is also --

20 MR. CSONTOS: Right. Well, one other thing  
21 with the high burnup programs, we have our own  
22 internal research that we're doing with DOE on high  
23 burnup fuel performance at Oakridge National Labs.  
24 That's a separate entity all to itself so that we  
25 understand what the mechanical performance would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during transportation. So that's separate. Chloride  
2 SCCs, there is no formal coordinated effort right now  
3 with DOE or with the industry other than through the  
4 chloride SCCs RIRP program, that's through NEI. And  
5 what that is is a coordinated effort under the RIRP to  
6 look at all the different issues related to chloride  
7 SCCs and look at all the data available to us and look  
8 at susceptibility criteria and things along those  
9 lines. And that's related to that. We're going to  
10 have a public meeting on that probably some time in  
11 May to close that issue up, because we've been --  
12 April 28, okay?

13 MEMBER REMPE: It's this NRC --

14 MEMBER BALLINGER: Joy, is your microphone  
15 on?

16 MEMBER REMPE: Oh, yes, that was turned  
17 away from it, but yes, does NRC have -- what is the  
18 role of NRC? Are they just reviewing it, holding  
19 public meetings, or are you actually funding research  
20 on that independently?

21 MR. CSONTOS: We are funding research in  
22 the areas of inspection right now, because we have  
23 done the work in the past, back in the 2005 to 2010  
24 time frame, we had spent a few million dollars to look  
25 at doing crack initiation testing to see whether or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not various types of events could cause it. In a  
2 corollary to that, we also went into all the  
3 databases, the operational experience databases for  
4 the reactor side, to see about how applicable they  
5 were to, these types of conditions, to the world. And  
6 we found several events associated with chloride SCCs.  
7 So to us, it became a real issue.

8           And what we're doing now is, we had worked  
9 since 2010, I believe, on this RIRP with NEI and the  
10 industry. That's the only formal process. We have  
11 other programs going on, but right now we have moved  
12 away from whether chloride SCCs could happen to how do  
13 we find if it is happening, which is inspection. And  
14 so, that's where the chloride stress corrosion  
15 cracking AMP is focused more on that because we, at  
16 this point, are looking to detect whether or not it  
17 is, I use the euphemism is it's sort of like, we need  
18 to know if we have the disease first before we go  
19 trying to fix anything, so let's go see and detect  
20 whether or not we have cracking on these canisters.  
21 We know that there are corollaries for the reactors,  
22 but do we have it for the canisters, it's a different  
23 application. We want to have that inspection  
24 capability and that's where we're putting our money at  
25 this point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Thank you.

2 MEMBER BALLINGER: Question, these  
3 incidences of chloride stress corrosion cracking, did  
4 you just catalogue them or did you run each one to  
5 ground to find out how relevant a particular incident  
6 was?

7 MR. CSONTOS: Yes. So, we have run several  
8 of these to ground. Several of them were under  
9 insulation and under crevice locations under hangers,  
10 pipe hangers and things like that, and those were not  
11 as directly related, like for the insulation, but  
12 there are crevices on some of these systems and so the  
13 crevice locations, where the pipe hangers were, are  
14 relevant. In some cases we looked at, there are about  
15 half a dozen that are really analogous to what we're  
16 looking at, which were heated systems in 304 or 316  
17 stainless, whether they're tanks or pipes, that were  
18 exposed without any hangers or anything, that have had  
19 chloride SCC.

20 MEMBER BALLINGER: Did you run the Schedule  
21 10 piping issues to ground?

22 MR. CSONTOS: I'm not understanding what  
23 that one is.

24 MEMBER BALLINGER: A lot of the incidents  
25 on externally exposed piping that suffered chloride

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SCC had to do with so-called Schedule 10 stainless  
2 steel piping.

3 MR. CSONTOS: Oh, yes.

4 MEMBER BALLINGER: In particular, probably  
5 San Onofre and Turkey Point, maybe, I forget, Crystal  
6 River or Turkey Point. Did you run those to ground?

7 MR. CSONTOS: We have, but we have also  
8 looked at the Koeberg Plant as well. That's the one  
9 that has the exposed stainless tanks. And I think  
10 that was a three or four, I believe. And the Koeberg  
11 Plant in South Africa, and it's very near the coast,  
12 and so, there are examples that are analogous to  
13 through-wall leakage of these for chloride SCC. So,  
14 again, though, even though it's analogous, I can't say  
15 exactly that it's a one-for-one, because these are  
16 heated systems, they're unique application, and so, at  
17 this point, we're focusing on the detection for  
18 whether or not this is happening to us.

19 MEMBER BALLINGER: Okay. Last question, is  
20 that Part 72 really, the rule states that you can't  
21 exceed the dose at the site boundary. Have you done  
22 the analysis to say, if I have a crack or a hole or  
23 whatever you want to call it, what's its effect on the  
24 site boundary rule? Have you done that?

25 MR. CSONTOS: We have not yet, we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thinking about doing that in the near future here.  
2 But the other aspects to a cracked canister are not  
3 just for the dose, it's also -- we have to think about  
4 sub-criticality for a flooding event or something  
5 along those lines. We have to think about confinement  
6 in that way. We have to think about the thermal piece  
7 to it as well, because there are thermal requirements  
8 and the helium that's inside the canisters are there  
9 to help with the conduction of the heat away. And so,  
10 we have to think about all these things and associate  
11 them with the dose at the site boundary as well. So  
12 that's some of the things that we have to contemplate  
13 when we're looking at, what's the effect of a cracked  
14 canister?

15 MR. LOMBARD: Well, it's structural  
16 integrity of the system itself.

17 MR. CSONTOS: Oh, absolutely, yes. Thank  
18 you for that. Yes.

19 MR. LOMBARD: One thing that I will tag on  
20 to what Al said about NDE, about the inspection piece,  
21 is that we're really encouraging the industry to  
22 continue to develop devices that can detect cracks and  
23 the depth of cracks in stainless steel canisters, and  
24 that work has progressed pretty well. The first three  
25 pilots were done, actually four pilots now with Palo

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Verde and then another one coming up, I think, at  
2 McGuire in May, right?

3 MR. CSONTOS: Right. We have two more  
4 coming up. In May we're going to McGuire to see the  
5 testing of a demonstration of robotics systems going  
6 into canisters. And also in July at Maine Yankee,  
7 it's a decommission site, and to see if they can do  
8 the same thing for a site that doesn't have an  
9 operating reactor.

10 MEMBER BALLINGER: Last, last question, or  
11 penultimate last question, are you collaborating or  
12 participating with EPRI? At the Subcommittee meeting,  
13 there was a slide for which they identified two tasks  
14 that they were performing and there were reports going  
15 to be issued. One of them was a consequence analysis  
16 for a leaky cask. Are you participating in that in  
17 any way?

18 MR. CSONTOS: Yes. That is part of the  
19 chloride SCC RIRP program. That's with NEI. NEI then  
20 works through EPRI to get their research arm to  
21 provide those results, research products to us. And  
22 then our -- I don't want to say research products,  
23 they're just technical products, to us. And then we  
24 tend to, what we've done in the past is review them,  
25 provide comments, they are not -- but we haven't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviewed and approved them as like a topical report  
2 review, full topical report review, it is more for  
3 putting it out there into the documentation for this  
4 area, chloride SCC.

5 MR. LOMBARD: And many of these activities  
6 are talked about at the EPRI meetings, the extended  
7 storage and collaboration program meetings, which the  
8 next one is May 2. And we participate extensively in  
9 that and provide input.

10 MR. CUMMINGS: Yes. Let me add to that.  
11 So, coming out of the Subcommittee meeting, we  
12 contacted EPRI about accelerating their schedule for  
13 doing the consequence analysis. So, they've already  
14 been committed to at least going out and first doing  
15 a literature review and, in my previous time with  
16 Holtec, I've done several consequence analyses, both  
17 kind of normal conditions and then also kind of more  
18 severe conditions. I've now gotten those entities  
19 that I worked for previously to share some of that  
20 information with EPRI so that they can kind of hit the  
21 ground running in terms of the methodology that  
22 they're going to use.

23 We're struggling with some of the same  
24 things that we've already talked with the NRC about,  
25 which is do we want to use dose as a metric? Do we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to use cancer fatality as a metric? What's the  
2 right metric so that we put this in the right context?  
3 I think we're going to have another meeting with the  
4 NRC in the near-term time frame to talk about the  
5 risk-informed framework and we'll be presenting some  
6 information there in terms of that consequence  
7 analysis that we're looking to have EPRI do.

8 MR. CSONTOS: And let me just -- one thing  
9 is that the RIRP is the Regulatory Issue Resolution  
10 Protocol. That's an NEI program. It's really well  
11 established, we wrote way back when in 2009, 2010 a  
12 full test plan, or not a test plan, but a plan to how  
13 to address this issue. And that's what we followed  
14 through. So it's been now about five, six years and  
15 we've gone through all of those documents that EPRI  
16 and NEI said they were going to develop, we've done  
17 our part. So it's been a good collaboration on trying  
18 to get this body of work to a place where we can make  
19 regulatory, how we're going to address this issue,  
20 basically, from a regulatory perspective. And what  
21 you see from all that work is the AMP. And the AMP  
22 for that is how we've come to that place. That's why  
23 it's a good place to close out.

24 MR. CUMMINGS: I think the most valuable  
25 process of that, or portion of that process, is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 allows us to get reports to the NRC, allows you guys  
2 to comment on them, provide your feedback on it, but  
3 we're not necessarily asking for a review and  
4 approval, but it allows you to see the work that's out  
5 there, allows you to comment on it. We incorporate  
6 those comments to the maximum extent that's  
7 reasonable. It's worked now twice very well with the  
8 top nozzle stress corrosion cracking and then with  
9 CISCC, which we're going to be closing out here in the  
10 next month or so. We're looking at other things like  
11 the risk-informed framework to put into that RIRP  
12 process to work with the NRC. It's been a very good  
13 way to interact on a technical level with the NRC.

14 CHAIRMAN BLEY: That's good. I want to go  
15 way back to Mark's response to Al a little bit ago.  
16 You threw in the bin of things we're worried about in  
17 cask integrity or canister integrity, criticality.  
18 Now, I don't trust my memory, but I thought the  
19 designs for these were such that by geometry they  
20 shouldn't be able to go critical if they're flooded.  
21 Is that not true?

22 MR. LOMBARD: Go ahead, Al. Al's got an  
23 answer for that.

24 MR. CSONTOS: Yes, with the assumption that  
25 the fuel and the cladding remain intact. And that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 part of an aging process that that's part of the high  
2 burnup demo program and everything else that we're --

3 CHAIRMAN BLEY: But it would have to get  
4 really, really unintact for that --

5 MR. CSONTOS: Yes. Really, really --

6 (Laughter.)

7 MR. CSONTOS: We're all well aware of that,  
8 but that's the answer to your question is that, yes,  
9 but with that caveat.

10 MR. LOMBARD: So all those things have to  
11 be taken into consideration together in an integrated  
12 fashion. One thing, Dr. Ballinger, that you mentioned  
13 is consequence analysis and we had a little discussion  
14 about that. As we talked at the Subcommittee meeting,  
15 driving force is what drives dose at the site boundary  
16 and beyond and once you have an initiation, unless you  
17 have the start of a through-wall crack, you'll lose  
18 molecules of helium over a period of time. And in  
19 some time period, you'll lose that driving force, even  
20 if you had some degradation, some cladding  
21 degradation.

22 So we know logically that your dose at the  
23 site boundary is going to be very, very, very, very  
24 small, but we've got to make sure that we do integrate  
25 our analysis of it and make sure that all the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important safety functions are considered as you look  
2 at through-wall cracks. So that consequence analysis  
3 has to be done very carefully and the assumptions have  
4 to be very clearly defined and implemented as you go  
5 through the analysis.

6 CHAIRMAN BLEY: Yes. That all makes sense,  
7 but I think you'd have to have some really extreme  
8 deviations from anything I consider feasible for this  
9 not to be true.

10 MR. LOMBARD: But then to look at the  
11 other, what happens after that? What other functions  
12 are you making sure that you maintain the important to  
13 safety functions going forward? And with an eye  
14 towards transportation, even though that's not the  
15 purpose, storage is storage and the storage period of  
16 extended operation are those for those that have been  
17 renewed, but you've got to keep an eye on  
18 transportation as well.

19 MEMBER BALLINGER: Last, last, last, last  
20 question. With respect to this consequence analysis,  
21 is there a thought to revising Revision 2 that feeds  
22 back the results of the consequence analysis and any  
23 other risk related stuff that you've done on  
24 alleviating or modifying, if you will, inspection  
25 criteria, things like that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BANOVA: So I think --

2 MEMBER BALLINGER: Because that's the  
3 expensive part --

4 MS. BANOVA: Yes.

5 MEMBER BALLINGER: -- doing the  
6 inspections.

7 MS. BANOVA: And I think the -- I mean,  
8 the thought going forward, so we do have the three  
9 example AMPs that are currently in NUREG-1927, those  
10 are example AMPs. At the Subcommittee meeting, we  
11 talked about the MAAPs report that we're developing  
12 that will include some additional AMPs. So, of  
13 course, if any further work is done, we expect to  
14 update both MAAPs and NUREG-1927 to respond to any  
15 additional research, any additional work analyses that  
16 are done. The thought is that these are living  
17 documents, these are not frozen in time. And just as  
18 we expect these learning AMPs to respond to operating  
19 experience and information over time, we want our  
20 Guidance to do the same. So we want the Guidance to  
21 be living documents. And so, yes, they would consider  
22 any further work that was done, include a consequence  
23 analysis.

24 MR. CSONTOS: And let me just add, I don't  
25 think it needs a -- it doesn't need a change or a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revision to 1927, I think it would just be a matter of  
2 changing the Aging Management Program that a licensee  
3 maintains to incorporate that risk element to it. So  
4 that's why I think that -- I think I mentioned this at  
5 the Subcommittee meeting, I don't believe 1927 is  
6 incompatible with a risk-informed approach.

7 I think we have taken a risk-informed  
8 approach, but if the licensees want to do an even more  
9 risk-informed approach, or they do some other analysis  
10 and they want to use it to change their time frames or  
11 whatever, that's part of the learning part of the  
12 Aging Management Program and that's up to them to  
13 decide if they want to change their AMP accordingly.  
14 So, that's why I think that -- I'm not sure it needs  
15 a whole revision change, it's already incorporated  
16 basically.

17 MR. LOMBARD: Al brings up a good point,  
18 that the regulatory framework is living and learning  
19 as it goes forward as well. And as we have -- as this  
20 thing was molded and shaped over the last two plus  
21 years, we've learned a lot as well when we went  
22 through the first two ISFSI renewals and the first CoC  
23 renewals, we've learned and have modified our approach  
24 so that more of this program is put into licensee  
25 control or stakeholder control.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BALLINGER: That's because the rule  
2                   -- this issue of confinement and the dose at the site  
3                   boundary are somewhat inconsistent in the sense that  
4                   it's entirely possible that you could breach  
5                   confinement by crack and not even come close to the  
6                   site boundary dose, which is what the rule says. And  
7                   so, is there any thought to actually, based on this  
8                   extensive analysis that goes on inspections and  
9                   things, to thinking about what the rule says? There's  
10                  a confinement -- because those SRPs for the casks say  
11                  you have to maintain an inert environment for the life  
12                  of the exposure. So that to me says, no leaks.

13                  MR. LOMBARD: The short answer is, yes.  
14                  What that looks like, we have to mold and shape that  
15                  as we go forward. And we're learning too as we go  
16                  forward and the paradigm shift that we've talked  
17                  about, there's been kind of a pair of paradigm shifts  
18                  recently with the second consolidated storage  
19                  potentially, and that's why you have to keep that eye  
20                  on transportation with consolidated storage.

21                  But the first paradigm shift is that these  
22                  systems are going to be sitting on the ground much  
23                  longer than originally intended, so you've got to  
24                  think not only in that first 20 year time frame, but  
25                  potentially a 60, 100, 140 year time frame, even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       though your licensing review has to be restricted to  
2       that period of the extended operation that you're  
3       reviewing, but you've got to keep your eye on what  
4       happens in the long, long term.  So, yes, confinement  
5       is -- we know that it's an important piece of our  
6       regulatory framework, but we've got to do the right  
7       thing going forward and plug reality into these  
8       decisions that we make regulatorily as much as  
9       possible.

10               CHAIRMAN BLEY: This discussion has helped  
11       me a lot because I didn't come to the Subcommittee  
12       meeting, I think primarily, that I didn't get just  
13       reading through the document.  But what I'm hearing  
14       is, you see this as an evolving program and a lot of  
15       things to learn over time.  Is there some kind of a  
16       prepared plan looking forward of how you expect this  
17       to evolve, what happens next, and how some of these  
18       things that were discussed get factored in to the ASME  
19       and maybe focus on site boundary and other things?

20               MR. CSONTOS: We have a plan that we talked  
21       about at the Subcommittee meeting where we have --  
22       this is just the first part of the keystone.  This is  
23       the keystone part of what we are going forward with.  
24       We're developing a GALL-like document, Generic Aging  
25       Lessons Learned type of report that looks into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific systems so that licensees will have the  
2 ability to just pull their system and see what we've  
3 already approved basically through that NUREG report.  
4 We're developing a Reg Guide to endorse parts of or  
5 the whole of 1403, as well as ASME code ACI Code for  
6 concrete and ASME code for the metal parts

7 And then we're looking at -- or the  
8 confinement boundary, the metal confinement boundary  
9 parts. And then the temporary instruction then moving  
10 to an inspection procedure because, as Mark alluded  
11 to, we're giving a lot of change control authority to  
12 the licensees, but we don't want to lose that  
13 oversight capacity to then make sure that licensees  
14 aren't saying they're just going to inspect no  
15 canisters in the future. Because at this point, we  
16 don't have many operational events or operational  
17 experience of inspections, we only have a few, and so  
18 we really want to get a better handle on what is  
19 happening and what's out there.

20 Right now, everything's looking fairly  
21 good, so that's a good thing, but we want to develop  
22 that basis a little bit better. And then the key part  
23 to the next step, where you're asking what's evolving,  
24 is the NEI concept of a tollgate. And the tollgate is  
25 this process that Kris was mentioning earlier, let me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see, where is that, that periodic assessments, the  
2 last bullet. And that's a key concept that we do  
3 agree with NEI on and that is that periodically we're  
4 going to have these set aside type of meetings where  
5 we say, okay, what's happening? And then from there,  
6 we'll get a better handle of how and where we go with  
7 the living documents.

8 CHAIRMAN BLEY: Okay. I guess my whole set  
9 of questions here are kind of an unsettled feeling  
10 from a few things I heard, and some which I could  
11 infer from reading, that this could evolve into an  
12 aging program akin to that that we have for operating  
13 reactors, which would seem way out of proportion and  
14 would make it almost prohibitive to keep this stuff.

15 MR. CSONTOS: This is really in a lot of  
16 ways, it's a -- a lot of these things were already  
17 being done by licensees and we're just putting it to  
18 a -- formulating it into the AMP framework.

19 CHAIRMAN BLEY: Okay. Well, I look forward  
20 to seeing how this progresses, because I was jumping  
21 to conclusions I probably shouldn't have.

22 MR. LOMBARD: Well, the intent and the way  
23 it's billed is certainly to model the framework of  
24 what was done on the reactor side, we didn't want to  
25 recreate the wheel, but we wanted to take what does

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 apply to dry cask storage, realizing the simplicity,  
2 if you will, of the systems themselves, especially  
3 compared to a nuclear power plant. These are passive  
4 systems sitting underground. And we realize that and  
5 we wanted to build a framework appropriately.

6 MEMBER BALLINGER: Dana? I'm giving you an  
7 opportunity.

8 (Laughter.)

9 MEMBER POWERS: Okay. I have a couple of  
10 questions to follow Ron on this subject. I guess one  
11 of the questions is that we don't know the source term  
12 should one of these casks fail very well, but we  
13 generally think it's low. At the time you're  
14 proposing this magnum opus of activity, we are at the  
15 same time proposing that the research reactors have  
16 unlimited licenses, with just an occasional update to  
17 the FSARs. And the basis for doing that is we say,  
18 gee, these research reactors have small source terms,  
19 they operate in -- they're simple, mechanically  
20 simple, and they operate in known hostile environments  
21 with respect to pressure and temperature. Well, all  
22 those elements of logic for the research reactor seem  
23 to apply to the casks.

24 The other question I have posed is, we  
25 know the source terms for these casks, again, we know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them poorly, but we suspect they're small, if we're  
2       talking about a crack induced by stress corrosion  
3       cracking or things like that. On the other hand, we  
4       know that if a saboteur or a terrorist attacks them,  
5       they make big holes and create bigger source terms.  
6       And so I say, anything that we do to facilitate the  
7       inspection of these casks for cracks is fine, as long  
8       as it does not make them more vulnerable to attack or  
9       sabotage.

10               MR. LOMBARD: So you are probably aware  
11       that we did some, what we call proof of concept  
12       testing, two years ago, maybe three years ago, in the  
13       high desert of New Mexico. And we've proven that  
14       certain things could be done, but the fact that we  
15       delayed the ISFSI security rule for at least five  
16       years is an indication of what we think about those  
17       terrorist scenarios. They're not important at this  
18       time given the environment that we're in. And I'll  
19       not say more than that.

20               MEMBER BALLINGER: I mean, what I'm -- to  
21       expand on this a little bit, what we're thinking,  
22       hypothetically, we require inspections, which can't be  
23       made very easily for current casks, because they never  
24       were designed to be inspected in this way. So,  
25       subsequent cask designs get modified to be easily

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inspected, for inspections that really have no  
2 consequence, because the consequences of a leak are so  
3 small, but yet we've redesigned the casks to be more  
4 easily inspected. And in thereby doing that, we've  
5 allowed access, which we wouldn't have had before,  
6 which could be used for nefarious purposes. So, it's  
7 a reason to consider balancing the inspections that  
8 are required and any modifications going forward for  
9 casks that might come from that, like Dana was saying.

10 MR. CSONTOS: Yes. I think that -- we hear  
11 you and that's a good point. I think that what we've  
12 seen so far, and we can't really go into it, because  
13 they're under review now, with those options, it would  
14 do nothing like that. The best thing I could say is  
15 that it's not adding more access, it's just making it  
16 easier for things to get in, for small things to get  
17 in to do the inspections. That's a little bit more  
18 easily achievable than currently, but it would not do  
19 anything around that part of going there.

20 MR. LOMBARD: So, two things. The robotics  
21 are really to the point now that they're very  
22 impressive, it's just -- so the delivery techniques  
23 are very good, it's the inspection technologies that  
24 need to be improved along with that. And the new  
25 designs, as Al said, are not that dramatically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different that it would change the scenarios. And I'd  
2 love to have a more detailed discussion with you all  
3 at some point if you'd like on that topic.

4 MEMBER BALLINGER: May 18?

5 MR. LOMBARD: Probably not that day,  
6 because we'll need to be in a different room, or maybe  
7 in this room after certain things were done.

8 MEMBER BALLINGER: Okay.

9 MR. LOMBARD: But we have done a lot of  
10 work and NSIR has some great presentations on that  
11 topic.

12 MEMBER BALLINGER: Any more questions to  
13 the Staff? Kris? Great. I think you should have an  
14 apartment here.

15 (Laughter.)

16 MR. CUMMINGS: I'll have to take that up  
17 with my boss and his budget. He says no. Great.  
18 Thank you very much. So, I'm going to give basically  
19 a recap of several of the presentations I gave to the  
20 Subcommittee in conjunction with NUREG-1927 and ISG-2,  
21 all kind of wrapped up in the context of a risk-  
22 informed framework. So, I'll start with  
23 retrievability. The first thing I want to point out  
24 is that these cask designs were basically designed to  
25 prevent or limit the degradation or damage to the fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during storage. Like we've been discussing, there's  
2 an inert environment, they're dried using either  
3 vacuum drying or a forced helium dehydration process  
4 to essentially have no residual water in the canister.

5 The basket and canister design itself  
6 provides a very tight enclosure of the fuel assembly.  
7 I think there's something like a quarter inch  
8 clearance between the fuel assembly and the basket  
9 itself on each side, so even if you were to have some  
10 sort of damage to the fuel in a severe event, you're  
11 not going to -- I go back to how maybe damaged fuel  
12 was modeled in some of the casks, that they created  
13 this theoretic possibility of the fuel pellets  
14 floating in an optimum water moderator. That's not a  
15 credible scenario, but it was done as a way to bound  
16 it with the understanding that that was a very  
17 conservative analysis.

18 There's a limitation of the peak clad temp  
19 below 400 degree Celsius, realistically, we've seen  
20 out of best estimate calculations for the demo cask,  
21 this North Anna high burnup demonstration and research  
22 program, that realistically it's much lower. It's  
23 actually closer to 300 degree Celsius, if maybe not  
24 even a little bit below that, in that case. Natural  
25 events don't cause a significant amount of stress to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the fuel itself. All the natural environmental  
2 phenomena, tornado missiles, which include telephone  
3 poles and cars and things like that, these casks are  
4 large, they're 150 to 180 tons, that's a lot of mass  
5 inertia that would need to be moved before you could  
6 do any damage to the fuel.

7 And the confinement boundary itself  
8 prevents water from ingressing into, in the same way  
9 that it prevents radiological contents from being  
10 released. There are technologies that exist that are  
11 able to handle fuel with either gross ruptures or  
12 structural defects. I go back to my experience when  
13 Trojan was loaded, they had fuel assemblies with  
14 severed rods, parts of the rods were missing, and they  
15 had undergone a campaign in their spent fuel pool to  
16 pick up fuel pellets off the bottom of the spent fuel  
17 pool. And they put those into two debris cans that  
18 then had ten or 15 or 20 pellets in them. We're able  
19 to, what I would call play pick-up sticks with damaged  
20 fuel assemblies in a safe manner, both to the public  
21 and to our operators.

22 So, basically in conclusion with  
23 retrievability, we look very favorably on this change.  
24 I do point out that this is where we started, Rev. 0  
25 was basically as long as you can go get the cask,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 prepare it for transportation, and ship it to a  
2 facility where you would be able to process it,  
3 whether that's for additional storage or for disposal  
4 or for something else, then we think that's a good use  
5 of risk-informing and performance-based criteria to  
6 apply retrievability in the way that the NRC has  
7 defined it. So, next I want to talk about NEI -- yes?

8 MEMBER RICCARDELLA: Talking about natural  
9 events, could you comment on seismic events?

10 MR. CUMMINGS: Yes. The casks are designed  
11 for seismic events, at least in terms of the cask  
12 certificates, those are analyzed for seismic events  
13 anywhere in the United States. If for some reason  
14 they need a high seismic cask, there may be some  
15 limitations for high seismic locations, but those  
16 locations are also designed for the design basis  
17 earthquake in those locations. The site would have to  
18 show that their site earthquake is bounded by the  
19 analysis that's done by the cask vendor.

20 MEMBER RICCARDELLA: Are they being updated  
21 for the new ground response spectra?

22 MR. CUMMINGS: That's a good question. I  
23 know that question has come up in the past. I would  
24 need to get back to you on an answer to that. Next I  
25 want to talk about NEI-1403, which has been discussed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a little bit. This was something the industry put  
2 together in anticipation of the NRC revising NUREG-  
3 1927 and in large parts, were consistent with what  
4 they've put into 1927. There's really four  
5 cornerstones here, which I'll talk about. The first  
6 being the format and content of the actual license  
7 application that's submitted by either the CoC holder  
8 or the site-specific licensee to the NRC. That's  
9 basically getting the right information and the  
10 information that the NRC needs to make a safety  
11 determination.

12 Second is an operations-based Aging  
13 Management Program that relies on learning aging  
14 management activities. That's really acquiring the  
15 information as we go through the period of extended  
16 operation. The third cornerstone is a sharing of that  
17 operating experience throughout the industry, and  
18 that's through this AMID database, Aging Management  
19 INPO Database, which I'll talk about a little bit  
20 more. And then, finally, as kind of the looking at on  
21 a periodic basis of what we're doing and is it the  
22 right thing or are there things that we can,  
23 especially in a risk-informed manner, are there things  
24 that we should be focusing our attention on more? And  
25 that's through this periodic tollgate safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessments that will be done by the individual  
2 licensees for their specific site.

3 So, I won't go into a large amount of  
4 detail, this is really the format and content of the  
5 license renewal application. Sections 1 through 3 are  
6 essentially the same as what's in NUREG-1927, and then  
7 of course there's a recognition that you can do a time  
8 limited aging analysis to justify that you don't need  
9 an Aging Management Program because of various aging  
10 mechanisms would not cause a loss of safety function  
11 over the period of the license for which the license  
12 is being reviewed.

13 So, the operation based aging management,  
14 it's really characterized in the learning aging  
15 management program. It's the ability for us to go out  
16 and as we get more operating experience, we get more  
17 inspections, we have more research, whether that's  
18 done by the NRC, the industry, DOE, international  
19 research organizations, that information feeds back  
20 into the Aging Management Programs on, as I'll get to  
21 later with the tollgate process, on a periodic basis.  
22 And that's achieved through a couple different things.

23 The first I want to talk about is the  
24 current licensee inspection and maintenance programs.  
25 So, currently, ISFSIs do dose monitoring, at a minimum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at the fence. They have TLDs, thermoluminescent  
2 devices, that measure dose. They check those on a  
3 quarterly basis. Second, there's cask systems that  
4 are open to the environment and have vents on them.  
5 They do periodic inspections of the vents. That is a  
6 daily inspection, or sometimes actually some of them  
7 do it twice a day, although a lot of licensees  
8 actually have a temperature monitoring system that  
9 they've installed on the cask, which take the place of  
10 that.

11 So rather than a person going out every  
12 day and looking at the events to ensure that they're  
13 not blocked, they have simply a temperature, I'm  
14 trying to think of the word, a temperature monitoring  
15 device that measures the temperature and then  
16 typically the delta T between the inlet and the  
17 outlet. And that is provided to the control room.  
18 And then, third is a yearly preventative maintenance  
19 task. So that's looking at the cask exterior for  
20 concrete scaling and cracking, looking at the closure  
21 bolts for corrosion, and those are done on, at a  
22 minimum, a yearly basis.

23 So, second is the learning aging  
24 management programs, as we've talked about, defining  
25 the Aging Management Programs through the license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 renewal application, which are then described in the  
2 FSAR. Those set the baseline for the types of  
3 inspections and how frequently you would do them,  
4 certainly, and then what you would do if you start  
5 seeing something. Having the ability to look at those  
6 on a periodic basis and modify them to either, from a  
7 risk-informed perspective, reduce the frequency  
8 because you're not seeing anything and you've got  
9 other operational experience that shows that you  
10 wouldn't be seeing anything, but also if you do see  
11 something at another site, a secondary site, saying,  
12 hey, look, they've seen something, maybe we need to go  
13 back and evaluate whether we need to be doing that  
14 inspection on a more frequent basis.

15 Third would be the NRC inspection  
16 programs. We're very much looking at ensuring that  
17 the NRC inspectors that are at the individual utility  
18 sites, making use of their ability to inspect the  
19 procedures and inspect the results and I know they  
20 work very closely with the White Flint office here in  
21 terms of, if they're seeing something, to work with  
22 the technical experts here at the NRC main offices.  
23 And then, finally, as Al alluded, putting more control  
24 under the licensee, having a trusted and reliable  
25 72.48 change process. And I think that's really in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the paradigm of both sides, the industry and the NRC,  
2 both understanding how that process works and having  
3 a consistent understanding on how that process works.

4 MEMBER BALLINGER: I have a question. I  
5 probably maybe should wait until the end, but it's  
6 burning me.

7 (Laughter.)

8 MEMBER BALLINGER: These current monitoring  
9 systems, you had a crack in one of the canisters that  
10 was a through-wall crack, would any of these systems  
11 find it?

12 MR. CUMMINGS: There's been some discussion  
13 of that. I know Jun Lu from Argonne gave a  
14 presentation at the --

15 MEMBER BALLINGER: The temperature thing,  
16 yes.

17 MR. CUMMINGS: Right. That's not  
18 specifically what they were designed for. So I don't  
19 know that I could give you a firm answer as to say,  
20 would it definitely be able to tell you that? I think  
21 they've made a case that it would, that you would be  
22 able to use some sort of a temperature monitoring  
23 device to say, okay, if you've now exchanged the  
24 helium in the cask for air, that's going to change the  
25 thermodynamic properties, and that may cause a larger

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature delta between the inlet and the outlet.

2 MEMBER BALLINGER: What about the vent  
3 monitor? That's, I presume, radiation monitoring of  
4 some kind.

5 MR. CUMMINGS: The vent monitoring is  
6 simply ensuring that the vent is not blocked --

7 MEMBER BALLINGER: Oh, okay.

8 MR. CUMMINGS: -- by tumbleweeds or dirt or  
9 snow.

10 MEMBER BALLINGER: That could be used to do  
11 a particular -- to detect a leak, could it not? By  
12 some kind of air sampling technique or something like  
13 that?

14 MR. CUMMINGS: I think if you were doing  
15 some sort of air sampling technique, it might be able  
16 to. I think there you would be looking at some sort  
17 of air sampling, put it on the vent or someplace else.  
18 That's not something that's currently done. The dose  
19 monitoring is really based on the TLDs on the ISFSI  
20 fence. But that's for showing compliance with 72.104,  
21 the 25 millirem at the site boundary.

22 MEMBER BALLINGER: But some combination of  
23 delta T measurement, that would be an indicator, and  
24 then go inspect, put something on the vent, an air  
25 sampling system, might work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CUMMINGS: It could work.

2 MR. CSONTOS: I think I saw Darrel Dunn in  
3 the audience over here, he could answer that because  
4 we did do a report on monitoring technologies. I  
5 think that was maybe two years ago. You want to say  
6 anything, Darrel, about that?

7 MR. DUNN: This is Darrel Dunn from the  
8 Division of Spent Fuel Management. We did look at  
9 that and I think the conclusion was that trying to  
10 detect, I think what was looked at was, could you  
11 detect helium? Because you know that's going to, if  
12 you have through-wall crack, you know that's going to  
13 leak out of the cask. And that turns out to be not as  
14 easily detectable as you might think in the outlet  
15 vent. It would be just really very diluted,  
16 especially if you had appreciable airflow going  
17 through there. So, it --

18 MEMBER BALLINGER: Helium would --

19 MR. DUNN: -- may or may not be able to  
20 detect a through-wall crack.

21 MEMBER BALLINGER: Helium would not be my  
22 most important thing to look at.

23 MR. DUNN: Sure.

24 MEMBER BALLINGER: I'd be looking at some  
25 radioactive emissions, radioactive particles and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stuff, that --

2 MR. DUNN: Well, you would probably be  
3 looking for a fission product gas, is the most likely  
4 thing that if you were talking about something  
5 radioactive coming out, it would be that, versus a  
6 particle.

7 MEMBER BALLINGER: Okay. All right.

8 MR. CUMMINGS: All right. So, the third  
9 cornerstone is this ISFSI Aging Management INPO  
10 Database. So, this was put together between the four  
11 major cask vendors, AREVA-TN, Energy Solutions,  
12 Holtec, and NAC International. They've agreed in  
13 collaboration with INPO to essentially develop a  
14 database where various operational experience from  
15 aging management would be captured. So this will be  
16 the inspections that done through the Aging Management  
17 Program, whether it's CISCC inspections on the  
18 canister, whether it's concrete inspections, any of  
19 those would be put in.

20 Certainly, the results that we have to  
21 date, the inspections that were done at Diablo Canyon  
22 and Hope Creek, and I know there's another one,  
23 Calvert Cliffs, those would be put into the database  
24 once we get this up and going. This is not a  
25 replacement of the Corrective Action System, this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically a warehouse for the information. The  
2 licensee who creates the information, be it a research  
3 organization or a licensee like a utility who does an  
4 inspection, they'll have the QA record, but this will  
5 really give one place where licensees, cask vendors,  
6 can go to to get the conglomeration of the operating  
7 experience and data that's out there.

8 It will be available to all of the CoC  
9 holders and licensees. And it will include both  
10 positive and, what I would call negative information,  
11 negative being, we've seen something, we've seen some  
12 corrosion, we've seen some indication of corrosion, or  
13 something more than that. But obviously if you go out  
14 and get an inspection and you say, hey, look, we went  
15 out and looked at the canister and we really didn't  
16 see any surface corrosion, we didn't see any pitting,  
17 and we didn't see anything else, that's good  
18 information to have too because that feeds back into  
19 the Aging Management Programs, especially across  
20 different sites, as we start to get this information  
21 I think it will allow us to start seeing where are  
22 really the concerns?

23 I mean, I think we already know marine  
24 sites with a chloride source, those are things that we  
25 need to be aware of CISCC specifically, but I'm also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very interested in ensuring that those sites that  
2 don't have a chloride source, they're in the middle of  
3 the country, they don't have other chloride sources,  
4 that they're not doing inspections every five years  
5 simply because this has been a concern generically.  
6 Certainly every plant has different Aging Management  
7 Programs based on their specific site geology and  
8 atmospheric conditions at their site, we're trying to  
9 make sure that we have a similar sort of flexibility  
10 in the context of casks, especially in the context of  
11 the frequency of the inspections.

12 MEMBER RICCARDELLA: I would assume the  
13 ASME code work would take that into account.

14 MR. CUMMINGS: Yes. We've been asking the  
15 ASME code to specifically look at those sorts of  
16 things.

17 MEMBER BALLINGER: I have to say this, I  
18 just got an email from the NRC that says, Dry Cask  
19 101, Making Sure They Hold Up. It's a blog over dry  
20 cask storage.

21 MR. CUMMINGS: Good timing.

22 MEMBER BALLINGER: Good timing.

23 MR. LOMBARD: We have a whole series of  
24 blogs that are going out on dry cask storage actually.

25 MR. CUMMINGS: All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: And I have a question.  
2 I'm a little slow, back for Darrel. Earth to Darrel.

3 (Laughter.)

4 MEMBER BALLINGER: You're saying that if  
5 you have through-wall crack you probably would find  
6 it?

7 MR. DUNN: Well, the monitoring techniques  
8 that we looked at in that previous monitoring report  
9 that Al was mentioning was focused on helium. Keep in  
10 mind, helium leak rate detection is a pretty tried and  
11 true technology, we use it on dry cask and it can be  
12 small enough to actually be usable. So, that was the  
13 effort to look at that. And the conclusion was that  
14 it would be very difficult for that to be detected.  
15 But your question is different, you're saying, if you  
16 had a through-wall crack, would you be able to detect  
17 it?

18 MEMBER BALLINGER: Right. By the presence  
19 of radioactive emissions of some kind.

20 MR. DUNN: I don't know that we looked at  
21 that specifically.

22 MEMBER BALLINGER: Yes. Because that's the  
23 good news and the bad news, actually. I mean, the  
24 good news is that -- well, the bad news is you might  
25 not see it. The good news is you might not see it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because that means that the leak rate or emissions  
2 would be very, very, very low, which goes to the  
3 source term issue that Dana was talking about.

4 MR. DUNN: Yes. So, it would -- there are  
5 a number of factors that would have to be considered  
6 there. What's the temperature of the cask?

7 MEMBER BALLINGER: Yes.

8 MR. DUNN: What's the pressure  
9 differential? How big are the cracks? How long have  
10 the cracks existed? If they've existed for a really  
11 long period of time and you go to the modern tech now,  
12 chances are they could be there and you wouldn't  
13 detect them at all because whatever fission gas you  
14 had in there is gone. That doesn't mean you don't  
15 have cracks.

16 MEMBER BALLINGER: But could you violate  
17 Section 11 before you saw it? Because that's what the  
18 original analysis was for. You have a crack big  
19 enough before an accident event results in you not  
20 being able to maintain integrity of the cask during an  
21 upset of some kind.

22 MR. DUNN: So are you asking, could you get  
23 a crack big enough that you would basically exceed the  
24 critical flaw size --

25 MEMBER BALLINGER: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DUNN: -- if you tried to move it?  
2 Very unlikely.

3 MEMBER BALLINGER: Okay.

4 MR. LOMBARD: One thing Darrel said when he  
5 was up the first time is the dilution factor, you've  
6 got to take that into account as well. The vents are  
7 large. The flow rates, especially once they're first  
8 loaded, are very large. Of course, you probably  
9 wouldn't have an SCC crack when they're first loaded  
10 because they're too high. But there are a lot of  
11 factors there to take into account. And plus, once  
12 you start to get a crack, the stress is relieved in  
13 that area --

14 MEMBER BALLINGER: Okay.

15 MR. LOMBARD: -- at least.

16 MEMBER BALLINGER: Yes. I --

17 MEMBER RICCARDELLA: But if it's so low you  
18 can't detect it, then obviously the consequences  
19 aren't very severe.

20 MEMBER BALLINGER: That's what I'm trying  
21 to get at. I was saying, it was good news, bad news.  
22 I mean, the bad news is you can't see it, the good  
23 news is that you can't see it.

24 MR. CUMMINGS: Agreed. We fully agree with  
25 that, yes. Okay. So, the tollgates, they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically a commitment to do a periodic document  
2 safety assessment by each licensee. It really -- what  
3 it does is the licensee will go out, they'll go to the  
4 AMID database, maybe other places where they get  
5 information, they may have their own inspections,  
6 although that would be put into the AMID database.  
7 They look at the bulk of the information and then do  
8 an assessment of their Aging Management Programs that  
9 were put into the FSAR. And then they make a  
10 determination where, okay, have we confirmed that our  
11 Aging Management Programs are the right ones? Are we  
12 doing them on the right frequency? And they would do  
13 that documentation, pay the toll, and then basically  
14 go through the tollgate. Their toll is doing this  
15 safety assessment.

16 MEMBER RICCARDELLA: Sorry. What's the  
17 period you're in?

18 MR. CUMMINGS: The period would be ten  
19 years. That's what we've proposed. And then,  
20 obviously, if some OE is out there that is come that  
21 is also applicable to your site, you would then  
22 implement corrective actions and, if needed, you would  
23 modify your Aging Management Programs as needed.  
24 These were piloted in Calvert Cliffs and the Prairie  
25 Island license renewals, however, in those cases, they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were tailored to specific issues.

2 So, if you look at the high burnup  
3 tollgate that's in there, there they, for the high  
4 burnup, they have a specific date by which they need  
5 to evaluate the results of the high burnup  
6 demonstration program at North Anna. And I think  
7 there's some hooks in there that if that information  
8 is not available, then they need to go out and do  
9 something themselves or make an assessment themselves  
10 in terms of the continued integrity of the high burnup  
11 fuel that they have in storage. And there's a  
12 specific date in the case of that license for that  
13 specific tollgate that's in there.

14 So, in conclusion, having an efficient dry  
15 storage licensing process is essential for managing  
16 our growing and aging dry cask storage population. We  
17 have some 2,500 casks currently loaded. We load  
18 another about 200 per year. And with some recent  
19 shutdowns of plants, we'll be up in the 3,000 to 3,500  
20 casks by 2020. We'll have a lot of casks loaded in  
21 the next five years. The things that we've been  
22 talking about today in terms of retrievability with  
23 ISG-2 and having a flexible and efficient license  
24 renewal process we think are good examples of how the  
25 NRC has been applying a risk-informed framework on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these specific areas.

2 We would like to certainly see, and I  
3 think we had some plans to have some discussion with  
4 the NRC on looking at the entire dry storage  
5 framework. And I think a lot of the questions that  
6 you guys have raised in this meeting and in the  
7 Subcommittee meeting has really brought that to a  
8 head. The question that, it was I think maybe Dana  
9 that asked, which was, what's the risk of doing the  
10 inspection versus you didn't do the inspection and you  
11 have a leak or you didn't have a leak, what is that  
12 risk balance? And that's something that we're  
13 actually very encouraged to see the NRC picking up and  
14 having more discussions with the industry on.

15 MEMBER SKILLMAN: I wanted to ask you to  
16 back up one slide, please. Dennis, this is to kind of  
17 get to your question about, is this really a living  
18 program? What we challenged at the Subcommittee  
19 meeting was whether or not this idea of a tollgate has  
20 an E-ZPass. And the answer is, no. You really do  
21 have to do it. You really have to do the evaluation  
22 to get past go for the next stretch. So there's no E-  
23 ZPass, you've got to do the work.

24 MR. CUMMINGS: Agreed.

25 CHAIRMAN BLEY: I won't compare this NEI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentation to us to some of the others, but I'm  
2 thinking of some of them, and you haven't objected  
3 much to what we see happening. Was most of this going  
4 to be going on anyway in your thoughts at these sites?

5 MR. CUMMINGS: In terms of inspections?

6 CHAIRMAN BLEY: Yes.

7 MR. CUMMINGS: Well, I mean, let's use the,  
8 I'm trying to think -- short answer is, yes. I mean,  
9 if I look at some of the licenses that were renewed  
10 prior to NUREG-1927 Revision 1, they have, even  
11 compared to what's being proposed in Rev. 1, they have  
12 limited Aging Management Programs. Now, they're still  
13 doing inspections, they're still doing maintenance,  
14 they're still making sure and going out. Now, they're  
15 a little different in that they don't have high burnup  
16 fuel, so there's even less risk on that part.

17 But we think it's prudent to ensure that  
18 we do have some level of inspections, we just want to  
19 make sure that those frequencies and the types of  
20 inspections that we're doing are the right ones and  
21 are being done for the right reasons. And so, that's  
22 what we really focused on, not do we need to have  
23 Aging Management Programs, but are we doing those in  
24 the most cost effective way that ensures public health  
25 and safety?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN BLEY: And the exact requirements  
2 for the AMPs are still evolving.

3                   MR. CUMMINGS: They are. I mean, we  
4 provided a lot of comments on the specific example  
5 AMPs that are in the NUREG-1927 and the NRC came back  
6 and said, they're exactly that, they're examples. We  
7 see that there is a responsibility for the cask vendor  
8 to, if they can make a case for a certain frequency or  
9 not doing an inspection, if you design the cask or  
10 you're in a certain location where you don't have a  
11 chloride source, I think a licensee could make a case  
12 to the NRC, if they find it acceptable, to say, you  
13 wouldn't need a canister inspection in the first 60  
14 years, because you're not in an environment where  
15 CISCC would be a degradation mechanism. But there  
16 would have to be a case that would be made for that.

17                   CHAIRMAN BLEY: Okay.

18                   MR. CSONTOS: I make it akin to coarse  
19 chewing right now. We're coarse chewing it right now.  
20 There are some licensees who did inspections beyond  
21 what we asked. We just had a public meeting two days  
22 ago from Trojan on their decommissioned, their ISFSI  
23 pad. And they already have been doing inspections  
24 with a borescope that they put in and they've done  
25 them twice already. We didn't know that. That was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something that wasn't an NRC requirement, they did it  
2 anyway as part of their site procedure.

3 North Anna, we had a meeting two weeks  
4 ago, they did visual inspections. All we did was ask  
5 them to do it, qualify their inspections. These are  
6 the things that -- right now, some of this stuff has  
7 already been done, we're just saying, hey, to make it  
8 official for NRC approval for what we're talking about  
9 here in terms of AMPs is qualify your inspection  
10 technique. In this case, North Anna went out, we had  
11 a pre-application meeting, they said, hey, well, how  
12 are we going to qualifying it? We said, use the ASME  
13 code qual card for a visual inspection. All they did  
14 is take their system, use a qual card, and now it's  
15 qualified.

16 So, it's nothing -- we don't see it as a  
17 huge, gross change or large change. This is just  
18 getting things in the proper place, putting it into  
19 the AMPs, things along those lines that's already  
20 being done. And for those systems, there is a  
21 requirement in the regulation that they have to be  
22 inspectible. And so, the systems that are out there  
23 now, they are all built to be inspectible. They  
24 didn't have it as a primary function, but then now  
25 we're finding out that some of these are more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difficult to go inspect, but nonetheless, it's just a  
2 robotics issue. It's not, you're going to have to  
3 move the canisters or you have to move it, these are  
4 -- it's not as onerous as it sounds right now. Later  
5 on, we'll do the fine tuning, the chemistry, what's  
6 local. Once we get some more data points to make some  
7 decisions, then we'll be able to fine tune it and say,  
8 oh, yes, those plants of that area, there's a no,  
9 never mind.

10 CHAIRMAN BLEY: And I guess we're seeing  
11 things might be gaps in safety and pushing to plug  
12 them here, at least I'm sitting here thinking, it's  
13 smelling like overkill. I don't know. And I haven't  
14 heard complaints, we'll all go out of business because  
15 of this, or anything of that sort.

16 MR. CUMMINGS: Well, but I think --

17 CHAIRMAN BLEY: It will also be interesting  
18 and I think everybody's got to be really careful going  
19 forward.

20 MR. CUMMINGS: I think the flexibility was  
21 by far the biggest thing that we were asking with the  
22 NRC, was don't put these inspections in the  
23 certificate themselves, don't put them in the license,  
24 allow, like we have on the plant side, to have a  
25 learning aging management program or for the licensee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 under the NRC approved processes, be it 72.48, the  
2 inspection program, the QA program, for them to be  
3 able to learn or make use of the information that we  
4 get as we go forward.

5 CHAIRMAN BLEY: But that opportunity sounds  
6 good and I look forward to seeing how this turns out.  
7 I'm interested in the safety side, but every once in  
8 a while I get nosy about the cost of things, all this  
9 stuff is piling up because we don't have a place to  
10 put it. And wasn't there a big suit a few years ago  
11 from many of the utilities against DOE about, hey,  
12 they're not taking this stuff and we've got to do  
13 something. I don't know how that turned out. Is DOE  
14 paying for this?

15 MR. CUMMINGS: The utilities continue to  
16 file lawsuits against DOE for lack of performance on  
17 the standard contract. Those continue to be awarded  
18 generally in the utilities favors. That actually does  
19 not get paid by DOE, it gets paid out of the DOJ  
20 Judgment Fund.

21 CHAIRMAN BLEY: Okay.

22 MR. CUMMINGS: So every taxpayer --

23 CHAIRMAN BLEY: So there's money coming to  
24 the --

25 MR. CUMMINGS: Yes.

1 CHAIRMAN BLEY: -- utilities?

2 MR. CUMMINGS: Yes. Now, they don't get  
3 everything back.

4 CHAIRMAN BLEY: Yes.

5 MR. CUMMINGS: A lot of that depends on  
6 whether you have a -- how good your lawyers are and  
7 how good the DOE's lawyers are, but in general they do  
8 get a lot of it back. But they don't get 100 percent  
9 back of what they spent on storing, but I imagine a  
10 lot of this stuff will go into the lawsuits too.

11 MEMBER RICCARDELLA: But they're no longer  
12 paying the tax, the long term disposal fee, right?

13 MR. CUMMINGS: Yes. The fee was zeroed out  
14 a year and a half or so ago. But the Nuclear Waste  
15 Fund continues to grow through interest, I think it  
16 gains about \$750 million a year. And the only thing  
17 coming out of it is --

18 MEMBER RICCARDELLA: They gain \$750  
19 million?

20 MR. CUMMINGS: Yes. There's \$32 billion or  
21 something in it.

22 CHAIRMAN BLEY: Well, there's a big pot of  
23 gold.

24 (Laughter.)

25 MR. CUMMINGS: Yes. I think there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bunch of IOUs somewhere in a suitcase.

2 CHAIRMAN BLEY: Good luck on getting them  
3 back.

4 MEMBER BALLINGER: In conversation between  
5 two high-powered lawyers, myself and Al, we opined  
6 that if it was an NRC mandated inspection, then the  
7 money could be recovered. Is that --

8 MR. CSONTOS: That's what I was told by  
9 some folks --

10 MEMBER BALLINGER: Okay.

11 MR. CSONTOS: -- from the industry side,  
12 that if it wasn't a requirement and it was an option,  
13 they may not get that money back.

14 MR. CUMMINGS: I'm going to leave that one  
15 to the lawyers.

16 MR. CSONTOS: Yes.

17 (Laughter.)

18 MR. CSONTOS: That was from our discussion  
19 with certain lawyers for the industry, yes.

20 MEMBER BALLINGER: Any other questions?  
21 It's been a great exchange. I think we should open  
22 the bridge line, if we can make that happen? While  
23 that's happening, is there anybody in the audience  
24 that would like to make a statement? Technologed into  
25 stunned silence. It's open? The bridge line -- if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's somebody out there on the bridge line, could  
2 you make your presence known by just saying something?

3 MR. DOLLEY: We're here.

4 MEMBER BALLINGER: Wait a minute, is this  
5 a movie?

6 (Laughter.)

7 MEMBER BALLINGER: Who is this? Would you  
8 like to make a statement?

9 MR. DOLLEY: This is Stephen Dolley, with  
10 Platts. I don't have a statement. I have questions,  
11 but questions are not allowed.

12 MEMBER BALLINGER: Thank you. Is there  
13 anybody else on the bridge line that would like to  
14 make a statement? Hearing none, we can close the  
15 bridge line and turn the meeting back over to the  
16 Chairman.

17 CHAIRMAN BLEY: Thank you. Thanks everyone  
18 for your presentations. We're going to go off the  
19 record at this point, but we have a little more  
20 business before we take a break.

21 (Whereupon, the above-entitled matter went  
22 off the record at 3:40 p.m.)

23

24

25



## Levy COLA – ACRS Review

AP1000 Generic Issues





April 7th, 2016

Bob Kitchen – Duke Energy

Andy Pfister – Westinghouse

# AP1000<sup>®</sup> PXS Condensate Return

## Reason for the Design Change

- Previous analysis performed during design certification assumed a constant condensate return rate of 90%
- Investigations resulting from validation of this assumption determined the 90% return rate could not be met.
  - A result of as built design configurations that were different than testing used to establish the 90% return rate
- The safe shutdown temperature criteria in SECY-94-084 of 420°F in 36 hours could not be met with the calculated value of return rate without modifications.
  - Without the design enhancements, ADS actuation would have been sooner following a non-LOCA event. Adequate core cooling would have been maintained

# Summary Of Design Change

- The following plant changes have been incorporated to increase condensate return to the IRWST
  - Add downspouts to polar crane girder and internal stiffener to drain condensate directly to IRWST
    - Minimizes losses associated with re-attaching flow to containment wall and with flow over support plates
  - Optimize IRWST gutter design and location
    - Extended to collect above upper equipment hatch and personnel airlock
  - Changed routing of cables to hydrogen sensors
    - Reduces quantity of support plates (obstacles) attached to the containment dome
- Licensing basis would not have been met without design changes

# Safe Shutdown

## GDC-34 Requirements

- A residual heat removal (RHR) system must be provided to remove residual heat from the reactor core so that specified acceptable fuel design limits (SAFDLs) and the design conditions of the reactor coolant pressure boundary are not exceeded
- Requires suitable redundancy of the components and features of the RHR system to ensure that the system safety functions can be accomplished, assuming loss of offsite or onsite power, coincident with a single failure.

# Safe Shutdown

SECY 94-084 states:

- 420°F is a safe, stable condition for passive plants.
- Other plant conditions constitute a safe, stable state as long as reactor subcriticality, decay heat removal and radioactive materials containment are properly maintained for the long term.
- Passive system capabilities can be demonstrated by appropriate evaluations during detailed design analyses, including
  - A safety analysis to demonstrate that the passive systems can bring the plant to a safe stable condition and maintain this condition and
  - No transients will result in the specified, acceptable fuel design limits and pressure boundary design limit being violated

# Safe Shutdown - AP1000 DCD Revision 19

- AP1000 DCD revision 19 has inconsistencies
  - Section 6.3.1.1 "Safety Design Basis" describes PRHR closed loop, "...capability to establish safe shutdown conditions, cooling the reactor coolant system to about 420°F in 36 hours."
  - DCD analysis that demonstrates 420F in 36 hours is not a design basis analysis
- AP1000 DCD revision 19 supporting analyses demonstrate
  - Design meets GDC 34 requirements using Design Basis Analysis (Chapter 15) assumptions
  - Design achieves 420°F in 36 hours using conservative, non-bounding assumptions performance analysis
- Design description revised to establish clear separation of safety design basis from non-safety design features (Performance goal)

## Issues Addressed

- Calculation Model Reevaluated
  - Error correction (Spreadsheet vs. LOFTRAN)
  - Simplification
  - Use of LOFTRAN with potential for two-phase flow
    - Heat loss vs. adiabatic analysis assumptions
- Design Basis Accident Extended (DBA) to 72 hours
- Safe Shutdown Analysis Confirmed
  - System capability to cooldown to 420°F in 36 hours
- Long Term PRHR Operation Capability Reevaluated (not indefinite)
- Operational Impacts Assessed

# Analysis Conclusions

- Design basis analysis demonstrates:
  - PRHR closed loop cooling can maintain the plant in a safe stable condition for 72 hours
- Conservative, non-bounding analysis demonstrates:
  - PRHR closed loop cooling can cool the RCS to 420°F in less than 36 hours
  - PRHR closed loop cooling can maintain safe shutdown (<420°F) for at least 14 days
  - Adiabatic analysis of the RCS is appropriate

# Summary of Licensing Basis Change

DCD Revision 19	Levy FSAR
1. For non-LOCA events, PRHR performance meets all Chapter 15 analysis requirements	1. FSAR Chapter 15 design basis accident analysis extended to 72 hours
2. Safety design requirement that PRHR cooling can achieve safe shutdown in less than 36 hours.	2. No change in analysis method. FSAR clarifies that this is non-safety design requirement based on conservative, non-bounding analyses
3. PRHR cooling can maintain safe shutdown (SSD) indefinitely.	3. FSAR identifies that PRHR closed loop cooling can maintain SSD for at least 14 days based on conservative, non-bounding analysis

## Summary of Phase 1 Testing

- As discussed on Tuesday, Phase 1 testing was performed in 2013
  - Developed a uniform film flow toward obstacles
  - Used to substantiate 18% losses on CV shell
  - Testing conducted over range of expected plant film Reynolds numbers
  - Losses from CV dome rainout phenomena were taken from literature. Inclination angles  $\leq 12^\circ$  assumed 100% loss


## Phase 2 Test Facility



- Testing was conducted for potential margin recovery
  - Phase 2 testing (2014) was not utilized in licensing submittal
- 8.5' Diameter
- 16' Height
- Rated Pressure 60 psig (**AP1000** containment design 59 psig)
- Rated Temperature of Shell 310°F (**AP1000** CV Shell 300 °F)
- Developed to show benefits in losses as a result of a condensing film flow as compared to fully developed film flow from Phase 1 testing.

# Summary of Phase 2 Testing

- Condensing film flow showed:
- 10% losses at  $\angle \geq 12^\circ$
- 0% losses at  $\angle \geq 33^\circ$
- Plant welds at 5.8°, 12°, and 33°.
- **Analysis assumes 100% loss on transverse welds for  $\angle \leq 12^\circ$**
- Losses on lateral support beams/structures were bounded by 60% loss **as compared to assumed 100% in analysis.**
- Flat Plates at angles of 90° with weld seams did not experience losses.
- Benefits in Phase 2 testing were observed as a result of the differences in condensing film flow as compared to fully developed film flow.
- Observations were:
  - condensing films resulted in a wetted surface which was better for film to remain attached
  - Condensing films showed more pronounced “rivulet” behavior which also provided for better attachment behavior





## Other AP1000® Emergent Issues

- Post Accident Main Control Room Operator Dose
- Hydrogen Venting Inside Containment
- Flux Doubling Compliance with IEEE 603
- Main Control Room Heat Up

# Post-Accident Main Control Room Dose

## **Problem Statement:**

- The certified design did not include direct dose contributions from the VES filter unit: direct filter dose increase the operator dose when considered
- The Main Steam line break analysis did not model the most limiting release scenario: secondary side coolant release timing assumptions were non-bounding
- Discrepancies were identified in the underlying shielding calculations for post-accident operator dose: AP1000 shielding design non-conservatively differed from the analysis model

## **Issue Resolution:**

- A combination of design and analysis changes were needed to demonstrate operator doses satisfy General Design Criterion (GDC) 19
- Reported doses decrease from DCD Revision 19



# Hydrogen Venting Inside Containment

## Problem Statement:

- **AP1000** design changes to containment layout were implemented without revision to supporting analyses for hydrogen diffusion flame
- In one particular severe accident scenario (frequency =  $6E-9$ /yr), a hydrogen diffusion flame may create a locally high temperature near containment pressure boundary, hatch and penetrations
  - Analysis required to verify a containment survivability
  - ITAAC revision is required to reflect containment layout design changes

## Issue Resolution:

- Updated analysis confirms containment survivability during a hydrogen burn event



# Flux Doubling Compliance with IEEE-603

## Problem Statement:

- The design did not comply with a portion of IEEE 603 Sub-clause 6.6 criteria:
  - Whenever the applicable permissive conditions are not met, a safety system shall automatically prevent the activation of an operating bypass or initiate the appropriate safety function(s).

## Issue Resolution:

- A new permissive, P-8, based on minimum required reactor coolant temperature for criticality (MTC), was added
- Design now complies with IEEE-603



# Main Control Room Heat Up

## **Problem Statement:**

- Throughout the design evolution of the MCR, the size and quantity of equipment have increased, raising the total MCR heat load. These increases result in a MCR temperature response exceeding the current licensing basis limit and equipment qualification conditions
- A new more limiting transient where non-safety power is provided to non-safety equipment but VBS is NOT available was identified

# Main Control Room Heat Up

## Issue Resolution

- Two stage automatic load shed
  - This automatic operation is proposed to maintain the required MCR environmental conditions
    - Only select non-safety loads are de-energized, with no impact to the minimum inventory of displays / controls provided by the primary dedicated safety panel
    - No impact to the plant controls and indication of plant parameters at operator workstations
    - Load shed circuitry is safety related
- Additional Surveillance Requirements
  - Limit initial conditions for adjacent rooms in the updated MCR Heat Up analysis
  - Limit moisture content for air in the VES storage tanks
- Human Factors Considerations
  - Analysis supports unlimited operator stay time at a WBGT Index of 90°F
    - Acceptance criterion is from NUREG-0700
    - Same limit is met for post-72 hour ancillary fan operation
- Evaluation concludes that proposed changes confirm MCR temperature requirements are met and no limits are imposed on personnel stay time





**U.S. NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

# **Presentation to the ACRS Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Overview**

**April 7, 2016**

# Overview – Levy COL

- Levy COL staff interaction with ACRS 2011
  - Letter of conclusion and recommendations
- 2012-2016 staff review of additional applicant submittals
  - Key chapters of advanced safety evaluation issued or re-issued

Topic	Advanced SE	ARCS Meeting
AP1000 Departures	Chapter 21	April 2016
Condensate return design change	Section 6.3 (Chapter 21)	September 2014
Fukushima recommendations	Chapter 20	January 2013
Bulletin 2012-01	Chapter 8	Not planned
Emergency preparedness enhancements	Chapter 13	Not planned

# Overview– Levy Departures

- DEF identified 6 departures that require review prior to Commission decision on issuing COL
- Addressed in separate Chapter 21
  - 21.1. Condensate return (2 departures)
  - 21.2. MCR Dose
  - 21.3. MCR Habitability (Heatup)
  - 21.4. Combustible Gas Control in Containment (Hydrogen Vent ITAAC)
  - 21.5. Source Range Flux Doubling Logic for Boron Dilution Operating Bypass (IEEE 603-1991)

# Staff Presenters

- Condensate Return
  - Boyce Travis - Containment and Ventilation
  - Tim Drzewiecki – Reactor Systems, Nuclear Performance & Code Review
- Main Control Room Dose
  - Michelle Hart - Accident Consequences
- Main Control Room Heatup
  - Boyce Travis - Containment and Ventilation
- Hydrogen Vent ITAAC
  - Anne-Marie Grady - Containment and Ventilation
  - Robert Roche-Rivera – Structural Engineering Branch
- Flux Doubling Logic Operating Bypass
  - Jack Zhao - Instrumentation and Control



**U.S.NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

# **Presentation to the ACRS Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Passive Core Cooling System Condensate Return**

**April 7, 2016**

- Design change includes exemption request and two departures from AP1000 DCD Revision 19
  - Departure 3.2-1
    - Modifications to the polar crane girder, internal stiffener, and passive core cooling system (PXS) gutters
  - Departure 6.3-1
    - Changes DCD PRHR-HX capability to maintain safe shutdown for non-LOCA events from “indefinitely” to 14 days (72-hour safety-related mission time)
- Levy FSAR/DCD chapter and section changes
  - 3.2, 3.8, 5.4, 6.3, 7.4, 9.5, 14.3, 15, 15.2.6, 19, 19E and technical specification bases (Chapter 16)

## Staff Findings— Containment Impact

- Containment peak pressure unchanged, due to conservatisms (as compared to minimizing condensate return) inherent in analysis
- Potential lowered IRWST level following PRHR HX actuation does not challenge actuation of ADS 1/2/3
- Containment floodup level (in the event of containment recirculation) following actuation of ADS stage 4 or LOCA not adversely affected
- Calculated condensation return rate of approx. 80% in the long term based on testing and analysis is acceptable
  - This value is roughly the fraction of condensate returning to the IRWST that reached the containment shell
  - In the early stages of the transient, the return rate is significantly lower, and this is captured in the applicant's analysis

# Staff Findings— Passive Core Cooling System

- Chapter 15 analyses are not affected
  - Bounding analysis described in FSAR Section 6.3.3.2.1.1
  - Analysis demonstrates non-LOCA Chapter 15 acceptance criteria for satisfied for at least 72 hours
- Condensate return rate is sufficient to meet cooldown requirement of reaching 420 °F in 36 hours
- Transition to open loop cooling is retained as backup to PRHR HX

- Ambient Heat Loss
  - Updated FSAR, Section 5.4.5.2.1, to include maximum heat transfer rate specification for metallic reflective insulation
  - Update criteria to actuate ADS
  - Staff findings
    - No adverse impact on Chapter 15 DBA analyses
    - No adverse impact on safe shutdown analysis
    - ADS actuation criteria established diverse and reliable indication of adequate core cooling
- ADS equipment qualification
  - Staff found reasonable assurance that open loop cooling can be established during an extended station blackout event

# Conclusions

- Staff findings from Sept. 2014 safety evaluation unchanged
  - Chapter 15 not impacted
  - Passive core cooling system is capable of cooling the RCS to 420 °F in 36 hours
- Consideration of ambient heat losses does not adversely impact Chapter 15 analyses
- Loss of subcooling expected to occur within 14 days
  - PRHR HX does not degrade
    - Analysis
    - Test data
- Transition to open loop cooling is retained as backup to PRHR HX



**U.S.NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

**Presentation to the ACRS  
Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Main Control Room Dose**

**April 7, 2016**

# MCR Dose Departure Overview

- DCD MCR dose analyses did not explicitly include direct radiation from VES filter and other discrepancies required analysis updates
- Design changes include exemption request and site-specific departure from AP1000 DCD Rev. 19
  - LNP DEP 6.4-1
    - Revise DBA dose analyses
    - Add VES filter shielding and related ITAAC
    - Reduce TS allowable secondary coolant iodine activity concentration
    - Revise radiation monitor setpoints
    - Change the VES actuation signal name from “high-high” to “High-2”

# Staff Review

- Changes to DBA dose analysis
  - Direct dose from VES filter
  - Shielding provided for VES filter
  - Shielding analysis methods used by applicant
  - Additional analysis changes made to increase analysis margin, update methods or incorporate updated detailed design information
    - Some changes affected offsite dose also
- Review methods used by the staff
  - Scoping calculations
  - Audit of applicant MCR envelope design packages
  - Audit of applicant DBA dose analysis packages
  - Audit of applicant MCNP shielding input/output files

# Review Results

- Proposed changes are acceptable because they either use methods that were previously found acceptable in review of the DCD or use methods that are in conformance with NRC guidance, use updated detailed design information, and/or reflect the proposed site-specific changes to the design
- Margin in calculated MCR total dose for all DBAs ensures compliance with GDC 19 for use of safety-related VES
- Revised DBA dose analyses show that the estimated offsite doses meet the applicable dose criteria

# Conclusion

- Staff has reasonable assurance that the proposed MCR dose analysis departure from the AP1000 certification rule at the Levy Units 1 and 2 site meets the following requirements:
  - 10 CFR 52.79(a)(1) dose guidelines and the dose acceptance criteria in SRP 15.0.3 with respect to the offsite radiological consequences of DBAs
  - GDC 19 control room habitability dose criterion for operation of the VES under High-2 radiological conditions for all DBAs



**U.S.NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

# **Presentation to the ACRS Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Main Control Room Habitability (Heatup)**

**April 7, 2016**

# MCR Temperature and Humidity

- Two periods of interest:
  - 0-72 hours (VES in operation)
    - New heat loads reflected in revised GOTHIC analysis
    - MCR substantially lower than 90 WBGT during first 72 hours
  - 3-7 days (ancillary fans in operation)
    - Ancillary fans placed in service to ventilate outside air through MCR
    - Applicant assumed diurnal outside air temperature curve with 101°F peak and 15 degree day/night difference, with a constant wet bulb temperature of 82.4°F
    - Staff concluded the analysis demonstrated reasonable assurance that MCR would remain below 90 WBGT for 7 days, even under the worst case outdoor conditions (and substantially lower under any cooler conditions)

# Impact on Human Performance

Stage 2 load shed of the Wide Panel Information System

What events must occur to result in VES actuation with off site power available?

- Multiple independent failures and/or beyond design basis event

What indications remain available?

- Shift Manager Office Console
- Senior Reactor Operator Console
- Reactor Operator Consoles (excluding business LAN)

# Conclusion

- MCR remains within temperature and humidity limits for human performance and equipment qualification
  - Substantial margin while VES in operation for first 72 hours
  - Remains within limits post-72 hours
- The staff finds the change of acceptance criteria for control room habitability from the effective temperature of 85 F to a WBGT of less than 90 F acceptable. The new limit, based on NUREG-0700 (the established NRC-approved standard for human factors guidance) maintains an unlimited stay time in the control room.
- The staff finds that, given the low probability of events resulting in WPIS load shed and the availability of alternate indications, the WPIS load shed does not undermine the acceptability of the WPIS system



**U.S. NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

# **Presentation to the ACRS Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Combustible Gas Control in Containment  
(Hydrogen Vent ITAAC)**

**April 7, 2016**

# Licensing Impact

- SECY-93-087 I.J Containment Performance, states that during a severe accident challenge the containment should maintain its integrity.
- Evaluate an exemption request from Tier 1 ITAAC and two corresponding changes from AP1000 DCD, Tier 2, Revision 19
- LNP DEP 6.2-1 proposes to change the acceptance criteria to a specific ITAAC in Tier 1 Table 2.3.9-3, Item 3iii, which specifies a minimum distance from specific hydrogen vents in containment to the containment shell.
- The purpose of the ITAAC is to confirm this distance

## Technical Evaluation

- The goal is to keep postulated hydrogen diffusion flame sources away from the containment pressure boundary, to prevent conditions leading to potential failure of the containment shell, hatches, and penetrations.
- A burning hydrogen plume from the passive core cooling system (PXS)-A compartment (Room 11206) to the core makeup tank (CMT)-A (Room 11300) could potentially challenge containment allowable limits
- This is a single low probability initiating event involving multiple failures

## Technical Evaluation

- Applicant performed a CFD sensitivity analysis to locate hot spots.
- Applicant performed a one-dimensional (1D) heat transfer analysis, modeling radiation and convection, to calculate temperature distributions on the containment pressure boundary in the area near the lower equipment hatch.
- Maximum temperatures on the containment shell, equipment hatch cover, and the hatch barrel were calculated and averaged for input to the program used for the structural analysis.

# Technical Evaluation

	Temperature (° F (° C))	Peak Average Temperature (° F (° C))	Peak Average Temperature (° F (° C))
Component	Hot Spot Allowables	Zone 1=Radiation and Convection	Zone 2=Radiation Only
Containment Shell	607 (319)	442 (228)	411 (210)
Insert Plate/Barrel	390** (199)	308 (153)	293 (145)
Hatch Cover	780 (416)	577 (303)	530 (277)

Allowable maximum temperature limit from ASME Code Service Level C for SA 738 Grade B.

\*\* Allowable maximum temperature limit for insert plate/barrel corresponds to acceptance criterion for ethylene propylene diene monomer (EPDM) rubber

## Structural Evaluation of CV

- Staff focused review of survivability of the CV including equipment hatch to confirm that the containment integrity is not challenged due to hydrogen diffusion flame migrating from the PXS-A compartment.
- Particular emphasis on:
  - Temperature distribution on CV and equipment hatch considering hot spot. The hot spot area is a local area where the burning plume could affect the CV pressure boundary.
  - Peak average wall temperature on the hot spot is 780 °F
  - Temperature limit of 390 °F for the equipment hatch seal is based on EPDM rubber manufacturer allowable.
  - The CV and the hatch stresses are within ASME NE-3000 Service Level C. The metal resultant stress of 15.25 ksi from ANSYS analysis vs ASME allowable of 63.6 ksi at 800 °F.
  - Metal creep is not significant factor for short duration
- Staff concluded that the applicant analysis meets the ASME requirements and the containment integrity is not challenged.

## Conclusions

- Staff concludes that the methodology and assumptions in the analysis for determining the temperature source terms from the hydrogen burns are appropriately conservative, and the results are acceptable to be used as input to the structural analysis
- Based on the staff's evaluation of containment survivability, the staff finds that containment integrity is not challenged due to diffusion flame hydrogen burn from the CMT-A room in the containment.



**U.S.NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

# **Presentation to the ACRS Full Committee**

**Staff Review of  
AP1000 Design Changes and Departures in the  
Levy Nuclear Plant Combined License Application**

**Source Range Flux Doubling Logic for Boron Dilution  
Operating Bypass (IEEE 603-1991)**

**April 7, 2016**

# Regulatory Requirements

- Clause 6.6 in IEEE Std. 603-1991, which is incorporated by reference in 10 CFR Part 50.55a(h), includes the following requirements on operating bypasses for safety functions:
  - Whenever applicable permissive conditions are not met, a safety system shall automatically prevent activation of an operating bypass of a safety function  
or
  - Initiate the appropriate safety function(s).

## Proposed Design Change

- In current design, operators can block the source range flux doubling logic input to the boron dilution block at any time, and there is no permissive condition implemented in the PMS to permit bypassing of source range flux doubling logic for boron dilution block during startup.
- Proposed major changes include a new permissive, P-8, to permit bypassing the flux doubling logic safety function, add logic in PMS to force chemical and volume control (CVS) demi. water system (DWS) isolation valves **closed** if the flux doubling logic is bypassed while RCS temp. < P-8, and add a reset of flux doubling logic when RCS temperature falls below P-8.

## Conclusion

The staff concludes that the proposed changes to the PMS design for bypassing the source range neutron flux doubling logic input to the boron dilution block comply with criteria in Clause 6.6 of IEEE 603-1991, “Operating Bypasses.”

# Acronyms and Definitions

- ADS – Automatic Depressurization System
- CFD – Computational Fluid Dynamics
- CMT – Core Makeup Tank
- COL – Combined License
- CV – Containment Vessel
- CVS – Chemical and Volume Control System
- DBA – Design Basis Accident
- DWS– Demineralized Water System
- EPDM – Ethylene Propylene Diene Monomer
- GDC – General Design Criterion
- IEEE – Institute of Electrical and Electronics Engineers
- IRWST – In Containment Refueling Water Storage Tank
- ITAAC – Inspections, Tests, Analyses and Acceptance Criteria
- MCNP – Monte Carlo N-Particle
- MCR – Main Control Room
- PMS – Protection and Safety Monitoring System
- PRHR HX – Passive Residual Heat Removal Heat Exchanger
- PXS – Passive Core Cooling System
- RCS – Reactor Coolant System
- TS – Technical Specification
- VES – Main Control Room Emergency Habitability System
- WBGT – Wet Bulb Globe Temperature
- WPIS – Wide Panel Information System

# Industry Perspective on Draft RG 1.229

**Stephen Geier**

Senior Project Manager, Nuclear Energy Institute

**ACRS Full Committee**

APRIL 7, 2016

Rockville, MD

# NEI Perspective

- As part of the 50.46c rulemaking, guidance provides needed flexibility in use of risk-informed approach to address effects of debris on post accident long-term core cooling
- Assists in resolution of open issues affecting PWRs and BWRs

# Industry Perspective on Draft RG 1.229

**Wayne Harrison**

STPEGS Licensing Lead – GSI-191 Risk Informed Approach

**RISK-INFORMED APPROACH FOR ADDRESSING  
THE EFFECTS OF DEBRIS ON POSTACCIDENT  
LONG-TERM CORE COOLING**

APRIL 7, 2016

Rockville, MD



# Industry Perspective on Draft RG 1.229

- Draft RG 1.229 should be issued with 10CFR50.46c rule change package
- Consistent with goal of issuing guidance along with rules
- Provides definition of content needed for risk-informed application
- Guidance is consistent with the review of the STP pilot application



**U.S. NRC**

UNITED STATES NUCLEAR REGULATORY COMMISSION

*Protecting People and the Environment*

**Regulatory Guide 1.229**  
**Risk-Informed Approach for Addressing**  
**the Effects of Debris on Post-Accident**  
**Long-Term Core Cooling**

Advisory Committee on Reactor Safeguards  
April 7, 2016

Steve Laur, CJ Fong  
Division of Risk Assessment  
Steve Smith, Division of Safety Systems  
Office of Nuclear Reactor Regulation

# Key Messages

1. Staff requests a letter based on:
  - Commission policy on Cumulative Effects of Regulations (CER)
  - Licensee schedules
2. Technical issues have been discussed and RG is ready for use (industry agrees)



# Reason 1 for publishing RG 1.229 now

## Commission Policy on CER:

“The staff should publish draft guidance with proposed rules and publish final guidance with the final rule.”

(SRM-SECY-11-0032)



# **Reason 2 for publishing RG 1.229 now**

Publishing RG 1.229 now will facilitate reviews and will add clarity and stability to the licensing process.

- First non-pilot “Option 2” plant expected September 2016
- Eight more submittals expected in 2017

# Future revisions to RG

- Staff currently developing more realistic LOCA frequency allocation methods
  - NRR, RES senior management met on 2/8/16; agreed to augment Appendix C with more realistic methods
  - Project plan has been developed
  - Key RES and NRR staff identified
  - Target completion: late 2016 / early 2017
- These and other lessons will be incorporated into Revision 1

# Path forward for RG 1.229

- RG 1.229 is ready for use now
  - Internal NRC concurrence has been achieved
  - Industry agrees
- Bounding method (Appendix C): suitable for STP pilot based on staff confirmatory calculations
- Staff will evaluate experience and use lessons to revise RG 1.229 if needed

# Industry Perspective on Spent Fuel Retrievability and Dry Cask Storage License Renewal

**Kristopher Cummings**

Nuclear Energy Institute

Advisory Committee on Reactor Safeguards

April 7<sup>th</sup>, 2016 • Rockville, MD

# Spent Fuel Retrievability

- Dry storage cask technologies have been designed to prevent/limit degradation or damage to fuel during storage:
  - Inert environment (i.e., helium)
  - Limited/no residual water via established drying process
  - Basket/canister design prevent significant fuel movement
  - Limitation of the peak clad temp below 400°C (realistically much lower)
  - Natural events fail to cause significant stresses on the fuel
  - Confinement boundary prevents water ingress
- Technologies exist today to handle fuel with gross ruptures or structural defects without impact on worker or public safety.
- A revised performance-based and risk-informed definition for “canister-based” retrievability is a good application of a risk-informed framework.

# Cornerstones for Effective Dry Storage License Renewal and Extended Storage Timeframes

- Consistent format and content of license renewal applications (LRAs)
- Operations-based aging management through learning aging management programs
- Sharing of operating experience related to aging management - AMID
- Periodic “tollgate” safety assessments

# LRA Format and Content

- Section 1: General Information
- Section 2: Scoping Evaluation
- Section 3: Aging Management Review
- Section 4: Time Limited Aging Analysis (TLAAs)
- App. A: Aging Management Programs
- App. B: Granted Exemptions
- App. C: License/CoC Changes
- App. D: UFSAR Supplement
- Additional appendices as needed (environmental report supplement, financial qualification, etc.)

# Operations Based Aging-Management

- Key concept:  
*Effective licensee implementation of an operations-based DCS aging management program will require the ability to efficiently change AMAs based on feedback from operating experience, research, monitoring, and inspections*
- Achieved through:
  - Current Licensee Inspection & Maintenance Programs
  - “Learning” Aging Management Programs
  - NRC Inspection Programs
  - Reliable and Trusted 72.48 Change Control Process

# ISFSI Aging Management INPO Database

- Cask vendors (AREVA-TN, Energy Solutions, Holtec, NAC) have, in collaboration with INPO, agreed to develop an information sharing database of aging management OE.
- Guiding Principles:
  - Not a replacement of existing Corrective Action Program
  - Information available to all CoC holders and licensees
  - Use of screening criteria
  - CoC Holder Approval
  - Entry of both positive and negative information

Industry Dry Cask Storage OE Database	
Logged In As: Eric Shewbridge	
<a href="#">Home</a>	<a href="#">OE Database</a>
<a href="#">Search</a>	<a href="#">Certrec Portal</a>
<a href="#">Logout</a>	
<a href="#">Modify</a>	<a href="#">Print</a>
<a href="#">Back</a>	
OE Database	
ID	2
Added By	<a href="#">Michelle Thomas</a>
Date Added	9/4/2015 2:11 PM
Modified By	<a href="#">Al Haeger</a>
Date Modified	9/9/2015 10:30 AM
Source of Data	AMP Inspection
Originator	EPRI
Date of Data Acquisition	09/09/2015
Data Entry Organization	
Location	Test
ISFSI Environment (Ultimate Heat Sink)	Salt Water
Ambient Temperature at time of Data Acquisition	Degrees F
Ambient Relative Humidity@Time of Data Acquisition	Percent
Dose Rate at Component Surface	mrem/hr
Storage Technology	Test
System Info(Affected Structure, System, Component)	Test
Cask in Service Date	11/01/2013
Heat Load at time of data acquisition	kW
Description of Information, data	Test entry
Material	reinforced concrete
Weld/HAZ Involvement	Neither
Code Applicability	
Inspection/NDE Technique/Instrumentation	

# Toll Gates

- Commitment to periodic, documented safety assessments
- Assessment timing specified after renewed operating period begins determined by the specific licensee or CoC holder
- Integrates OE, research, monitoring, and inspection results and assesses aggregate impact (e.g. applies CISCC susceptibility criteria & HBU R&D results)
  - If confirmatory, proceed to next toll gate (no action)
  - If not, pre-plan for possible outcomes – e.g., implement corrective actions, if needed, under licensee’s corrective action program
- Piloted in Calvert Cliffs and Prairie Island renewals tailored for specific issues – Canister corrosion, high burnup fuel

# Summary

- Efficient dry storage licensing processes are essential for effective management of the growing and aging dry storage cask population.
- Success in applying a risk-informed framework has shown progress in several focused areas:
  - Defining retrievability on a canister/cask basis
  - More efficient and flexible license renewal process (NEI 14-03 and NUREG-1927, Revision 1)
- Additional progress can be made on applying a risk-informed framework to CoC/license content.

**Thank you**

Questions?



# Abbreviations

- AMA – Aging Management Activity
- AMP – Aging Management Program
- CAP – Corrective Action Program
- CISCC – Chloride-Induced Stress Corrosion Cracking
- CoC – Certificate of Compliance
- DCS – Dry Cask Storage
- HBU R&D – DOE/EPRI Demonstration Project
- OE – Operating Experience
- MAPS – Managing Aging Programs for Storage
- PRA – Probabilistic Risk Analysis
- TLAA – Time-Limited Aging Analysis
- LRA – License Renewal Application



# Interim Staff Guidance-2, Revision 2, “Fuel Retrievability in Spent Fuel Storage Applications”

Emma Wong

Division of Spent Fuel Management

Meeting with Advisory Committee on Reactor Safeguards  
Framework for Storage and Transportation of Spent Fuel  
April 7, 2016

A decorative blue graphic is located in the bottom right corner. It features a stylized atom symbol with a white nucleus and blue orbits. The text "Division of Spent Fuel Management" is written in white, curved along the bottom edge of the atom symbol. The acronym "NMSS" is written in white, bold, sans-serif font in the center of the atom symbol.

# Applicable Regulations

- 10 CFR 72.122(I) - Retrievability  
“Storage systems must be designed to allow ready retrieval of spent fuel, high level radioactive waste, and reactor-related GTCC waste for further processing or disposal”
- Applies to general and specific licensed ISFSIs

# Applicable Regulations(con't)

- 10 CFR 72.236(m)

“To the extent practicable in the design of storage casks, consideration should be given to compatibility with removal of the stored spent fuel from the reactor site, transportation, and ultimate disposition by the Department of Energy.”
- Applies to storage CoCs

# Interim Staff Guidance-2

- Previous revision 0
  - Guidance to meet retrievability without needing to handle individual fuel assemblies
- Current revision 1
  - Ability to move a canister to a transportation package or a location where the spent fuel can be removed and
  - Ability to handle individual spent fuel assemblies by normal means

# Interactions

- Public meetings
  - July 2011, August 2012, July and October 2015
- Public comments received
  - 2013, 2015
- ACRS subcommittee meeting
  - March 23, 2016
- ACRS full committee meeting
  - April 7, 2016

# Draft Revision 2

- Focuses on safety and design bases to allow maximum flexibility to maintain safety for an undefined storage duration
- Continue to protect public health and safety
- Ensure spent fuel can be retrieved from storage safely for further processing or disposal
- Provide guidance to the NRC staff on licensing reviews

# Ready Retrieval

The ability to safely remove the spent fuel from storage for further processing or disposal.

Ability to do one or a combination of the following:

- A. remove individual or canned spent fuel assemblies from wet or dry storage,
- B. remove a canister loaded with spent fuel assemblies from a storage cask/overpack,
- C. remove a cask loaded with spent fuel assemblies from the storage location.

# Questions/Comments

## Contact:

Emma Wong: (301) 415-7091

[emma.wong@nrc.gov](mailto:emma.wong@nrc.gov)



NMSS

Division of Spent Fuel Management

Division of Spent Fuel Management

# References

- 42 U.S. Code §10101 et seq. Nuclear Waste Policy Act (NWPA) of 1982, as amended.
- 53 FR 31651; 1988. Final Rulemaking “Licensing Requirements for the Independent Spent Fuel Storage of Spent Nuclear Fuel and High-Level Radioactive Waste.”
- 78 FR 3853; July 17, 2013. “Retrievability, Cladding Integrity and Safe Handling of Spent Fuel at an Independent Spent Fuel Storage Installation and During Transportation.”
- COMSECY-10-0007 “Project Plan for the Regulatory Program Review to Support Extended Storage and Transportation of Spent Nuclear Fuel,” ML101390216.
- Draft ISG-2, Revision 2, “Fuel Retrievability in Spent Fuel Storage Applications,” ML15239A695.
- Final draft ISG-2, Revision 2, “Fuel Retrievability in Spent Fuel Storage Applications,” ML16019A128.
- FRN requesting public comment (78 FR 3853) & comments, ML15110A370.
- ISG-2, Revision 1, “Fuel Retrievability,” ML100550861.
- ISG-2, Revision 0, “Fuel Retrievability”

# References

- NUREG-1536, Revision 1, “Standard Review Plan for Spent Fuel Dry Cask Storage Systems at a General Facility,” ML091060180.
- NUREG-1567, Revision 0, “Standard Review Plan for Spent Fuel Dry Storage Facilities,” ML003686776.
- NUREG-1927, Revision 0, “Standard Review Plan for Renewal of Specific Licenses and Certificates of Compliance for Dry Storage of Spent Nuclear Fuel,” ML111020115.
- NUREG/CR-7198, “Mechanical Fatigue Testing of High-Burnup Fuel for Transportation Applications,” ML15139A389.
- Response to Stakeholder Comments on the Final Draft of ISG-2, Rev. 2, ML16019A134.
- SECY-01-0076, “Retrievability of Spent Fuel from Dry Storage Casks.”
- Summary of Public Meeting on July 27, 2011: “Enhancements to Licensing and Inspection Programs,” ML113000303.

# References

- Summary of Public Meeting on August 16, 2012: “Meeting to Obtain Stakeholder Feedback on Enhancements to the Licensing and Inspection Programs for Spent Fuel Storage and Transportation,” ML12261A069.
- Summary of Public Meeting on July 29, 2015: “Public Meeting on Retrievability of Spent Fuel at an Independent Spent Fuel Installation,” ML15216A272.
- Summary of Public Meeting on October 29, 2015: “Public Meeting on the Draft Interim Staff Guidance (ISG) 2, Revision 2: Fuel Retrievability Under 10 CFR Part 72,” ML15317A259.

# Abbreviations

- ACRS – Advisory Committee on Reactor Safeguards
- CFR – Code of Federal Regulations
- CoC – Certificate of Compliance
- GTCC – Greater than Class C
- ISFSI – Independent Spent Fuel Storage Installation
- ISG – Interim Staff Guidance

# **Proposed Final NUREG-1927, Rev. 1 Standard Review Plan for Renewal of Specific Licenses and Certificates of Compliance for Dry Storage of Spent Nuclear Fuel**

Kristina Banovac, Aladar Csontos, Darrell Dunn, Ricardo Torres, John Wise

Office of Nuclear Material Safety and Safeguards  
Division of Spent Fuel Management

Meeting with Advisory Committee on Reactor Safeguards  
April 7, 2016

# Outline

---

- Storage renewal requirements and guidance
- Development of NUREG-1927, Rev. 1
- Changes in NUREG-1927, Rev. 1

# Storage Renewal Requirements and Guidance

- Renewal of Independent Spent Fuel Storage Installation (ISFSI) specific licenses and Certificates of Compliance (CoCs) for dry storage system designs, for a period not to exceed 40 years
- Maintain intended functions in the period of extended operation (PEO)
  - Time-limited aging analyses (TLAAs)
  - Aging management programs (AMPs)
- NUREG-1927, Rev. 0 issued in March 2011

# NUREG-1927, Rev. 0 → Rev. 1

- NRC staff experience with storage renewal reviews indicated a need for expanded guidance
- NUREG-1927 revision identified as a high-priority
- Valuable input received from stakeholders at over 20 NRC-sponsored public meetings, including:
  - Public meetings specific to NUREG-1927 (July 2014, July 2015)
  - ACRS Subcommittee on Metallurgy & Reactor Fuels (April 2015, March 2016)
- Draft Rev. 1 published for public comment in July 2015
- Staff developed responses to public comments and the proposed final Rev. 1 for ACRS coordination

# NUREG-1927, Rev. 1 Structure

- Front Matter (Abstract, Abbreviations, Introduction)
- Chapter 1: General Information Review
- Chapter 2: Scoping Evaluation
- Chapter 3: Aging Management Review
- Chapter 4: Consolidated References
- Chapter 5: Glossary
- Appendices:
  - A – Non-Quantifiable Terms
  - B – Examples of AMPs
  - C – Reserved
  - D – Use of Demonstration Program as a Surveillance Tool for Confirmation of High Burnup Fuel Integrity During PEO
  - E – Considerations for CoC Renewals
  - F – Storage Terms

# Changes in NUREG-1927, Rev. 1

---

- Updates and clarifications made throughout NUREG-1927, Rev. 1
- Changes in NUREG-1927, Rev. 1 are highlighted on the following slides

# Chapter 1: General Information Review

---

- Expanded guidance on application content
- Added guidance on timely renewal
- Added guidance for aging management considerations in amendment applications submitted during renewal reviews or after the renewal is issued
- Added guidance on terms, conditions, or specifications that may be added to specific licenses and CoCs as part of the renewal

# Chapter 2:

## Scoping Evaluation

---

- Expanded guidance for:
  - Sources of information that may be used to support the scoping evaluation
  - Review of structure, system, and component (SSC) subcomponents
  - Scoping of fuel assemblies
  - Scoping of certain SSCs depending on whether they are considered to be part of the design bases for a particular license or CoC
  - Ensuring exclusions from the scope of renewal are justified

# Chapter 3:

## Aging Management Review

---

- Expanded guidance on environmental data and identification of aging mechanisms and effects
- Expanded guidance on aging management review for fuel assemblies
- Expanded TLAA guidance
- Expanded discussion on each of ten AMP elements
- Added guidance on learning AMPs
- Added discussion of specific NEI 14-03 concepts
  - Periodic assessments of operating experience in the PEO
  - Aggregation and dissemination of operating experience

# Chapter 3:

## Aging Management Review (cont.)

---

- Added guidance on how pre-application inspection results support the aging management review
- Consolidated guidance discussion on retrievability
- Added guidance on commencement of AMPs for CoC renewals
- Added guidance on implementation of AMPs for licenses/CoCs in timely renewal

# Appendix B: Example AMPs

---

- Deleted previous appendix and replaced with example AMPs:
  - Localized Corrosion and Stress Corrosion Cracking of Welded Stainless Steel Dry Storage Canisters
  - Reinforced Concrete Structures
  - High-Burnup Fuel Monitoring and Assessment Program
- Based on consensus codes and standards where practicable
- Use achievable and actionable acceptance criteria
- Rely on licensee quality assurance and corrective action programs to maintain the SSC intended functions in the PEO

# Path Forward

---

- Receive ACRS letter (if needed) – April 2016
- Publish final NUREG-1927, Rev. 1 – Summer 2016

# References

- 10 CFR Part 72, <http://www.nrc.gov/reading-rm/doc-collections/cfr/part072/>
- NUREG-1927, Rev. 0, <http://www.nrc.gov/reading-rm/doc-collections/nuregs/staff/sr1927/r0/>
- Draft NUREG-1927, Rev. 1, <http://www.nrc.gov/reading-rm/doc-collections/nuregs/staff/sr1927/r1/>
- FRN issuing Draft NUREG-1927, Rev. 1 for public comment, <http://www.gpo.gov/fdsys/pkg/FR-2015-07-07/pdf/2015-16540.pdf>
- Proposed Final NUREG-1927, Rev. 1 and comment responses (for ACRS coordination), ADAMS Accession No. ML16053A199
- NEI 14-03, Rev. 1, ADAMS Accession No. ML15272A329

# Acronyms

- ACRS: Advisory Committee on Reactor Safeguards
- AMP: Aging Management Program
- CoC: Certificate of Compliance
- ISFSI: Independent Spent Fuel Storage Installation
- NEI: Nuclear Energy Institute
- PEO: Period of Extended Operation
- SSC: Structure, System and Component
- TLAA: Time-Limited Aging Analysis