

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

In the Matter of

NORTHWEST MEDICAL ISOTOPES, LLC

(Medical Radioisotope Production Facility)

Docket No. 50-609-CP

**ORDER**  
**(Setting Deadline for Proposed Transcript Corrections)**

The Commission held an evidentiary hearing on January 23, 2018, at its Rockville, Maryland headquarters to receive testimony and exhibits in the captioned proceeding. The hearing transcript is appended to this Order. Pursuant to my authority under 10 C.F.R. § 2.346(a) and (j), the parties may file any proposed transcript corrections no later than February 5, 2018. Transcript corrections should be limited to the identification of transcription errors that are material to the substance of the testimony or statements involved. The parties may coordinate their responses and file a joint set of corrections.

IT IS SO ORDERED.

For the Commission

**NRC SEAL**

**/RA/**

---

Annette L. Vietti-Cook  
Secretary of the Commission

Dated at Rockville, Maryland,  
this 29<sup>th</sup> day of January, 2018.

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: Hearing on Construction Permit for Northwest Medical Isotopes Production Facility: Section 189(a) of the Atomic Energy Act Proceeding

Docket Number: N/A

Location: Rockville, Maryland

Date: January 23, 2018

Work Order No.: NRC-3474

Pages 1-220

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 HEARING ON CONSTRUCTION PERMIT FOR NORTHWEST MEDICAL

5 ISOTOPES PRODUCTION FACILITY: SECTION 189(A) OF THE

6 ATOMIC ENERGY ACT PROCEEDING

7 + + + + +

8 TUESDAY,

9 JANUARY 23, 2018

10 + + + + +

11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Commission met in the Commissioners'

14 Hearing Room at the Nuclear Regulatory Commission, One

15 White Flint North, 11555 Rockville Pike, at 9:02 a.m.,

16 Kristine L. Svinicki, Chairman, presiding.

17  
18 COMMISSION MEMBERS:

19 KRISTINE L. SVINICKI, Chairman

20 JEFF BARAN, Commissioner

21 STEPHEN G. BURNS, Commissioner

22  
23 ALSO PRESENT:

24 ANNETTE VIETTI-COOK, Secretary of the Commission

25 MARGARET DOANE, General Counsel

1 NRC STAFF:

2 ALEXANDER ADAMS, JR., Chief, Research and Test

3 Reactors Licensing Branch, NRR

4 MICHAEL BALAZIK, Project Manager, Research and Test

5 Reactors Licensing Branch, NRR

6 BENJAMIN BEASLEY, Chief, Environmental Review and

7 NEPA Branch, NRR

8 JOSEPH DONOGHUE, Deputy Director, Division of

9 Materials and License Renewal, NRR

10 DAVID DRUCKER, Senior Project Manager, NRR

11 MICHELE EVANS, Deputy Director for Reactor Safety

12 Programs and Mission Support, NRR

13 JAMES HAMMELMAN, Senior Chemical Engineer, Fuel

14 Manufacturing Branch, NMSS

15 STEVEN LYNCH, Project Manager, Research and Test

16 Reactors Licensing Branch, NRR

17 NANCY MARTINEZ, Physical Scientist, NRR

18 MICHELLE MOSER, Biologist, NRR

19 MARY JANE ROSS-LEE, Deputy Director, Division of

20 Materials and License Renewal, NRR

21 APRIL SMITH, Reliability and Risk Analyst,

22 Programmatic Oversight and Regional Support

23 Branch, NMSS

24

25

1 BRIAN SMITH, Deputy Director, Division of Fuel Cycle  
2 Safety, Safeguards and Environmental Review,  
3 NMSS

4 DAVID TIKTINSKY, Senior Project Manager, Fuel  
5 Manufacturing Branch, NMSS

6 JEREMY L. WACHUTKA, Counsel for NRC Staff

7  
8 NWMI REPRESENTATIVES:

9 ROY BROWN, Curium Pharma

10 MICHAEL CORUM, Senior Technical Advisor, NWMI

11 GARY DUNFORD, Process Engineering Manager, NWMI

12 NICHOLAS FOWLER, CEO, NWMI

13 CAROLYN HAASS, COO, NWMI

14 STEVEN REESE, Irradiation Services Manager, NWMI

## CONTENTS

1	Overview (Northwest Medial Isotopes, LLC)	
2	Nicholas Fowler . . . . .	17
3	Carolyn Haass . . . . .	26
4	Steven Reese . . . . .	33
5	Commission Q&A . . . . .	37
6	Overview (NRC Staff)	
7	Michele Evans . . . . .	56
8	Mary Jane Ross-Lee . . . . .	58
9	Joseph Donoghue . . . . .	67
10	Brian Smith . . . . .	70
11	Commission Q&A . . . . .	77
12	Safety Panel 1	
13	<u>Applicant</u>	
14	Carolyn Haass . . . . .	95
15	Steven Reese . . . . .	95
16	Gary Dunford . . . . .	97
17	<u>Staff</u>	
18	Alexander Adams, Jr. . . . .	99
19	Michael Balazik . . . . .	102
20	David Tiktinsky . . . . .	105
21	Steven Lynch . . . . .	108
22	Commission Q&A . . . . .	110
23		
24		
25		

1	Safety Panel 2	
2	<u>Applicant</u>	
3	Michael Corum . . . . .	128
4	<u>Staff</u>	
5	Michael Balazik . . . . .	132
6	April Smith . . . . .	135
7	David Tiktinsky . . . . .	138
8	James Hammelman . . . . .	139
9	Commission Q&A . . . . .	141
10	Environmental Panel	
11	<u>Applicant</u>	
12	Carolyn Haass . . . . .	161
13	Steven Reese . . . . .	165
14	<u>Staff</u>	
15	Benjamin Beasley . . . . .	167
16	Nancy Martinez . . . . .	169
17	Michelle Moser . . . . .	175
18	David Drucker . . . . .	182
19	Commission Q&A . . . . .	186
20		
21		
22		
23		
24		
25		

1	Closing	
2	<u>Closing Statement by Applicant</u>	
3	Roy Brown . . . . .	203
4	Nicholas Fowler . . . . .	204
5	<u>Closing Statement by Staff</u>	
6	Steven Lynch . . . . .	205
7	Michael Balazik . . . . .	207
8	Michele Evans . . . . .	208
9	Commission Q&A and Closing Statements . . . . .	210
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		



## P R O C E E D I N G S

9:02 a.m.

CHAIRMAN SVINICKI: Well good morning, everyone. I call this hearing to order. I want to welcome the applicant, Northwest Medical Isotopes, LLC, the NRC staff, members of the public in the room with us, and those who are observing this proceeding remotely.

The Commission convenes today to conduct an evidentiary hearing on Northwest Medical Isotopes' construction permit application for a medical radioisotope production facility in Columbia, Missouri. This hearing is required under Section 189(a) of the Atomic Energy Act of 1954, as amended.

The Commission also will be reviewing the adequacy of the NRC staff's environmental impact analysis under the National Environmental Policy Act of 1969 or NEPA.

The general order of the hearing is as follows: First, I will address procedural matters associated with the swearing in of witnesses and the admission into the record of the parties' exhibits. Northwest Medical Isotopes and the NRC staff will then provide testimony in witness panels that provide an overview of the application, as well as address safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 and environmental issues associated with its review  
2 with Commission questions following each panel.

3 The Commission expects to issue a decision  
4 after the hearing promptly, with due regard to the  
5 complexity of the issues, after it makes the following  
6 necessary findings.

7 On the safety side, the Commission will  
8 determine whether, in accordance with 10 CFR Section  
9 50.35(a), (1) the applicant has described the proposed  
10 design of the facility, including the principal  
11 architectural and engineering criteria for the design  
12 and has identified the major features or components  
13 incorporated there for the protection of the health  
14 and safety of the public; (2) such further technical  
15 or design information as may be required to complete  
16 the safety analysis, and which can reasonably be left  
17 for later consideration, will be supplied in the final  
18 Safety Analysis Report; (3) safety features or  
19 components, if any, that require research and  
20 development have been described by the applicant and  
21 the applicant has identified, and there will be  
22 conducted, a research and development program  
23 reasonably designed to resolve any safety questions  
24 associated with such features or components; and (4)  
25 on the basis of the foregoing, there is reasonable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assurance that such safety questions will be  
2 satisfactorily resolved at or before the latest date  
3 stated in the application for completion of  
4 construction of the proposed facility and, taking into  
5 consideration the site criteria contained in 10 CFR  
6 Part 100, the proposed facility can be constructed and  
7 operated at the proposed location without undue risk  
8 to the health and safety of the public; (5) in making  
9 these findings, the Commission also will be guided by  
10 the considerations in 10 CFR Section 50.40, which  
11 include the Commission's determination as to whether  
12 issuance of the construction permit will not be  
13 inimical to the common defense and security or the  
14 health and safety of the public.

15 On the environmental side, the Commission  
16 will: (1) determine whether the requirements of the  
17 National Environmental Policy Act Section  
18 102(2)(a), (c), and (e) and the applicable regulations  
19 in 10 CFR Part 51 have been met; (2) independently  
20 consider the final balance among conflicting factors  
21 contained in the record of the proceeding with a view  
22 to determining the appropriate action to be taken; (3)  
23 determine, after weighing the environmental, economic,  
24 technical, and other benefits against environmental  
25 and other costs, and considering reasonable

1 alternatives, whether the construction permit should  
2 be issued, denied, or appropriately conditioned to  
3 protect environmental values; and (4) determine  
4 whether the need for review conducted by the NRC staff  
5 has been adequate.

6 This meeting is open to the public and we  
7 do not anticipate the need to close the meeting to  
8 discuss nonpublic information. If a party believes  
9 that a response to a question may require reference to  
10 nonpublic information, then that party should answer  
11 the question to the extent practicable with  
12 information from the publicly available record and  
13 file any nonpublic response promptly after the hearing  
14 on the nonpublic docket.

15 I would ask my fellow commissioners  
16 whether they have any opening remarks.

17 Hearing none, we will begin by addressing  
18 a few procedural matters, the swearing in of  
19 witnesses, and the official admission of hearing  
20 exhibits.

21 We will begin by swearing in the NRC staff  
22 witness and we will address the NRC staff exhibits.  
23 And then I will shift to the representative of  
24 Northwest Medical Isotopes for the exact same process,  
25 but we will conduct this for the NRC staff first.

1                   So counsel for the NRC staff, please  
2                   introduce yourself.

3                   MR. WACHUTKA: Good morning. My name is  
4                   Jeremy Wachutka and I, along with Mitzi Young, are  
5                   counsel for the NRC staff.

6                   CHAIRMAN SVINICKI: Thank you. Would you  
7                   please read the names of the staff witness? As you  
8                   read those names, each witness should stand as her or  
9                   his name is read and please remain standing.

10                  MR. WACHUTKA: Yes, the NRC staff  
11                  witnesses are Alexander Adams, Stephen Alexander, John  
12                  Atchison, Michael Balazik, Daniel Barrs, Stewart  
13                  Bland, Anthony Bowers, Michael Dusaniwsky, Michele  
14                  Evans, Mary Gitnick, James Hammelman, Gregory Hofer,  
15                  Robert Johnson, Louise Lund, Steven Lynch, Stephen  
16                  Marschke, Clifford Munson, Enver Odar, Annie Ramirez,  
17                  Mary Jane Ross-Lee, Mollie Semmes, Edward Tomlinson,  
18                  April Smith, Brian Smith, Charles Teal, David  
19                  Tiktinsky, Christopher Tripp, Richard Turtill, Benjamin  
20                  Beasley, Joseph Donoghue, David Drucker, Kevin Folk,  
21                  Edward Helvenston, Robert Hoffman, Nancy Martinez,  
22                  Michelle Moser, Jeffrey Rickhoff, George Wilson.

23                  CHAIRMAN SVINICKI: Thank you and it's  
24                  very helpful that all of you are generally on this  
25                  side of the room. So I'm going to look that way as I

1 know administer the oath. Please raise your right  
2 hand while I read the oath.

3 Do you swear or affirm that the testimony  
4 you will provide in this proceeding is the truth, the  
5 whole truth, and nothing but the truth?

6 Thank you, you may put your hands down.

7 Are there any witnesses who did not take  
8 the oath?

9 If there are -- are there any objections  
10 to including the witness list as part of the record?

11 MS. HAASS: No.

12 CHAIRMAN SVINICKI: Thank you. In the  
13 absence of objections, the witness list is admitted  
14 into the record. I thank the witnesses for taking the  
15 oath and they may be seated.

16 Next, we will formally admit the staff  
17 exhibits into the record. NRC staff counsel, are  
18 there any changes to your exhibit list previously  
19 submitted?

20 MR. WACHUTKA: There are no changes.

21 CHAIRMAN SVINICKI: Please read the range  
22 of numbers of the exhibits to be admitted.

23 MR. WACHUTKA: The NRC staff has submitted  
24 exhibits NRC-001 through NRC-013.

25 CHAIRMAN SVINICKI: Is there a motion to

1 admit the exhibits into the record?

2 MR. WACHUTKA: Yes, the NRC staff moves to  
3 admit these exhibits into the record.

4 CHAIRMAN SVINICKI: Ms. Haass, are there  
5 any objections to the admission of the exhibits and  
6 the exhibit list as part of the record?

7 MS. HAASS: No, there is not.

8 CHAIRMAN SVINICKI: In the absence of  
9 objection, the exhibits and exhibit list are admitted  
10 into the record.

11 We will now turn to the exact same process  
12 with Northwest Medical Isotopes, starting with the  
13 presentation of Northwest Medical Isotope witnesses.

14 Would the representative for Northwest  
15 Medical Isotopes, Ms. Haass, please introduce  
16 yourself.

17 MS. HAASS: Yes, I am Carolyn Haass. I am  
18 the Chief Operating Officer of Northwest Medical  
19 Isotopes, LLC.

20 CHAIRMAN SVINICKI: Thank you. Would you  
21 please read the names of Northwest Medical Isotopes'  
22 witnesses? And each witness should stand as her or  
23 his name is read and please remain standing.

24 I see that you are identified as a witness  
25 yourself, Ms. Haass. Once all of the names have been

1 read, I would ask that you also stand.

2 MS. HAASS: Thank you. Yes, Roy Brown,  
3 Ralph Buler, Michael Croum, Gary Dunford, Nicholas  
4 Fowler, Steve Reese, and myself, Carolyn Haass.

5 CHAIRMAN SVINICKI: Thank you. Would all  
6 of the Northwest Medical Isotopes' witnesses please  
7 raise their right hands while I read the oath?

8 Do you swear or affirm that the testimony  
9 you will provide in this proceed is the truth, the  
10 whole truth, and nothing but the truth?

11 Thank you. You may put your hands down.

12 Are there any witnesses for Northwest  
13 Medical Isotopes who did not take the oath? It looks  
14 like it's a more manageable list. So I think I saw  
15 that you all did. Thank you.

16 Staff counsel, are there any objections to  
17 including the witness list as part of the record?

18 MR. WACHUTKA: There are no objections.

19 CHAIRMAN SVINICKI: In the absence of  
20 objections, the witness list is admitted into the  
21 record. The witnesses may be seated. Thank you.

22 We will now turn to the formal admission  
23 of Northwest Medical Isotopes' exhibits. Ms. Haass,  
24 are there any changes to your exhibit list?

25 MS. HAASS: No, there is not.



1 CHAIRMAN SVINICKI: Would you please read  
2 just the range of numbers of the exhibits to be  
3 admitted?

4 MS. HAASS: NWMI-001 through NWMI-011.

5 CHAIRMAN SVINICKI: Is there a motion to  
6 admit the exhibits into the record?

7 MS. HAASS: Yes.

8 CHAIRMAN SVINICKI: Staff counsel, are  
9 there any objections to the admission of the exhibits  
10 and the exhibit list into the record?

11 MR. WACHUTKA: There are no objections.

12 CHAIRMAN SVINICKI: In the absence of  
13 objections, the exhibits and exhibit list for  
14 Northwest Medical Isotopes are admitted into the  
15 record.

16 Counsel for the staff is excused.

17 Ms. Haass, I invite you now to join your  
18 co-witnesses for the first witness panel at the other  
19 witness table.

20 I'll give you a moment to get seated  
21 there.

22 For our first presentation, Northwest  
23 Medical Isotopes will provide an overview of its  
24 application. After each overview panel, we will have  
25 a round of questions from the Commissioners.

1           For the three subsequent presentations,  
2           the two safety panels and the environmental panel,  
3           first Northwest Medical Isotopes and then the staff  
4           witnesses will testify, followed by an opportunity for  
5           the Commission to pose questions to both parties in  
6           the same question and answer period.

7           The Commissioners will have an opportunity  
8           to bank their time, as they see fit, to focus on  
9           particular questions over the course of the hearing.  
10          And we will rotate the order of questioning throughout  
11          the day.

12          I remind the witnesses of this panel and  
13          other panels who will appear before us throughout the  
14          day, that they remain under oath and that the  
15          Commission is familiar with their pre-hearing filings.

16          And if an individual should need to come  
17          to the podium, which is to my left in front of the  
18          Commission's table here, to respond to a question or  
19          otherwise speak, please approach the podium and wait  
20          to be addressed and recognized and to be sworn in, if  
21          you have not previously been sworn in.

22          With those procedural matters  
23          dispositioned, I now turn to our first overview panel  
24          and I ask Northwest Medical Isotopes to please  
25          proceed. And prior to presenting, please be sure to

1 introduce yourself, if you have not already done so.

2 So, Ms. Haass, your panel may proceed.

3 MS. HAASS: Thank you. I will be turning  
4 it over to Nicholas Fowler, who is the Chief Executive  
5 Officer of Northwest Medical Isotopes.

6 CHAIRMAN SVINICKI: Thank you. Please  
7 proceed.

8 MR. FOWLER: Thank you, Madam Chair,  
9 Commissioners. It's a pleasure to be here for the  
10 first of what we imagine to be a great number of  
11 significant milestones with the Nuclear Regulatory  
12 Commission.

13 It bears repeating that the technetium  
14 isotope is the most commonly utilized nuclear isotope  
15 for imaging, over 85 percent of all diagnostics and  
16 nuclear imaging use technetium, the daughter isotope  
17 of moly or molybdenum-99. In the U.S. alone, 40,000  
18 to 50,000 diagnostic procedures are done daily, yet  
19 there is no domestic supply. Northwest Medical  
20 Isotopes aspires to be that domestic supply and we  
21 aspire to deliver a domestic, secure, and reliable  
22 source of moly-99.

23 For some of us, 2008 to 2010, where we  
24 exhibited and experienced significant shortages of  
25 moly-99 may be a distant memory but, for those of us

1 close to the industry, it is not so much a memory but  
2 a current reality.

3 As we gather in this hearing, both South  
4 Africa and Australia reactor capabilities are  
5 currently offline and straining the existing supply  
6 chain for moly-99.

7 So this application that Northwest Medical  
8 Isotopes presents to the Nuclear Regulatory Commission  
9 is both timely and important to the country.

10 Northwest Medical Isotopes is a unique  
11 company. We were founded by healthcare services  
12 providers, who intimately understand the application  
13 of moly-99. A confluence of those healthcare services  
14 providers with world class research universities,  
15 Oregon State University and University of Missouri,  
16 and industry professionals who understand how to turn  
17 this into a business.

18 We are also unique amongst the thus far  
19 declared applicants for construction permits in that  
20 we have not applied for nor received any public  
21 financing. One hundred percent of our financing has  
22 been privately sourced and, therefore, our business  
23 absolutely has to pencil out and it does.

24 If I could direct your attention now to  
25 slide number 2, this is, again, a repeat of our

1 mission. We aspire to be the domestic, secure, and  
2 reliable source of moly-99.

3 The graphic depicts the current supply  
4 chain going from the irradiation of low-enriched  
5 uranium to a processing facility where the moly is  
6 extracted, delivery to the United States generator  
7 manufacturers, and onward into the medical supply  
8 chain.

9 We have circled the target processing  
10 facility as, to borrow a phrase from the personal  
11 computer industry, we intend to be plug-n-play. We  
12 don't intend to disrupt the supply chain. We intend  
13 to enhance the supply chain.

14 We use uranium fission as our base process  
15 and that is in quotes the gold standard for the  
16 industry. Now, our intent is to make our moly-99  
17 indistinguishable to the generator manufacturers from  
18 their current supply. Very little change, if any,  
19 will be required to the distribution channels.

20 However, we have innovated and we've  
21 innovated through a network of irradiation services  
22 providers by using university research reactors,  
23 specifically those at the University of Missouri and  
24 that at the Oregon State University. So by doing so,  
25 we intend to create the most reliable supply that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 network of the irradiation services reactors can  
2 provide that assurance of supply into our radioisotope  
3 production facility.

4 Our extraction processes are based all on  
5 low-enriched uranium. And so we have advanced to the  
6 safe and reliable sources of chemistry extraction for  
7 moly-99.

8 If I can then now ask that we move to  
9 slide 3 and focus on some of the assumptions that we  
10 have made about our business. First and foremost, we  
11 intend to build the production capacity for a minimum  
12 of half of the U.S. supply requirements with the  
13 ability of surge capacity to go to nearly 100 percent  
14 of the U.S. supply, as necessary.

15 Our radioisotope production facility  
16 incorporates the manufacture and production of  
17 targets, the dissolution of those targets and  
18 extraction of moly, and the recovery of low-enriched  
19 uranium. We produce moly through a fission-based  
20 process, the, quote, gold standard in the industry.

21 I've already highlighted the network of  
22 university reactors that provides us reliability in  
23 our supply, as well as the ability to have multiple  
24 shipments per week, given that the isotope is  
25 perishable, so we can have the freshest, capable

1 product.

2 Our analysis indicates that the fission  
3 product releases comply with the environmental release  
4 criteria and our waste production stream is Class A  
5 and Class B and C wastes no greater than Class C.

6 And then if I could ask that we move to  
7 slide 4 to give you the site characteristics and  
8 details of our intended facility.

9 The University of Missouri has a Discovery  
10 Ridge Research Park proximate to the university and  
11 geographically nearly center in the United States,  
12 making it a near-ideal location for the radioisotope  
13 production facility. It will be located, as the  
14 graphic indicates, at the entrance of the Discovery  
15 Ridge Research Park on an approximately 7.4 acre site.  
16 This site has been used for generations in  
17 agricultural production, so the land is disturbed. It  
18 has no surface water features. It has been determined  
19 to have no threatened nor endangered species and no  
20 historical or cultural resources have been identified  
21 to date.

22 The aspiration of the University of  
23 Missouri and Northwest Medical Isotopes is that this  
24 research park become an ecosystem, so to speak, of  
25 radioisotope production with Northwest Medical

1 Isotopes as being a significant and anchor tenant.

2 With that, I'd like to turn my time over  
3 to Mr. Roy Brown, Vice President of Curium Pharma.

4 MR. BROWN: Good morning. My name is Roy  
5 Brown and I am Vice President of Government Affairs  
6 and Strategic Alliances for Curium  
7 radiopharmaceuticals. My undergraduate degree is in  
8 radiation biophysics and I hold a master's in business  
9 administration.

10 One of my principal responsibilities is to  
11 develop and implement our strategy for long-term  
12 isotope supply for our nuclear medicine products.

13 Curium is a major radiopharmaceutical  
14 producer with manufacturing plants in Maryland  
15 Heights, Missouri, Petten in the Netherlands, and  
16 Saclay, France. Curium also operates a moly  
17 production facility in our plant in the Netherlands  
18 that is capable of producing more than half of the  
19 global demand for moly-99. We are the world's largest  
20 producer of technetium generators used in nuclear  
21 medicine.

22 Moly-99 and its daughter technetium-99m  
23 account for more than 85 percent of the 35 million  
24 nuclear medical procedures performed each year around  
25 the world.



1           These nuclear medicine diagnostic  
2           procedures can be used in more than 100 different  
3           applications for the early detection and staging of  
4           cancer, the detection of coronary artery disease, bone  
5           and lung imaging, and imaging of various functions of  
6           other organs in the body.

7           A steady and reliable supply of moly-99  
8           with its three-day half-life is critically important  
9           to nuclear medicine. Currently, the majority of the  
10          world's supply of moly-99 comes from Europe. A  
11          domestic supply would ease concerns in getting that  
12          moly into the U.S. for technetium-99m generator  
13          production.

14          In recent years, we've experienced several  
15          difficulties getting moly into the U.S. One example  
16          is a volcano in Iceland in April of 2010 which  
17          prevented commercial aircraft from crossing the  
18          Atlantic, which left moly stuck in Europe, unable to  
19          get to the U.S.

20          Curium also had a shipment of bulk moly-99  
21          sitting in the Brussels Airport ready for shipment,  
22          when terrorists detonated two bombs in March of 2016,  
23          delaying that shipment to our Maryland Heights  
24          facility in Missouri.

25          A domestic production capacity for moly-99

1 would ease these types of problems and potentially  
2 increase manufacturing efficiencies from the reduced  
3 decay lost during transit of the moly-99.

4 We have been closely following the  
5 development of Northwest Medical Isotopes' project.  
6 NWMI plans to use a fission-based approach to moly-99  
7 production, which you have already heard is the gold  
8 standard by which all other production methods are  
9 measured.

10 NWMI-produced moly would likely be  
11 indistinguishable from moly we currently produce in  
12 our existing fleet of European reactors and,  
13 therefore, would not likely require redesign of our  
14 technetium-99 technology in our generators. Moly-99  
15 from neutron activation has low specific activity and  
16 is not usable in our generators or any of the other  
17 current technetium-99 generators currently on the  
18 market.

19 NWMI's proposed network of university  
20 research reactors in the U.S. could enable the  
21 universities to balance their missions of research,  
22 education, and service and, equally important, provide  
23 a consistent, reliable, and less-interrupted supply of  
24 moly-99 for U.S. patients.

25 In addition, the novel chemistry of

1 Northwest recaptures the uranium oxide targets with  
2 the target material as part of the extraction and  
3 purification process, enabling the recycling and reuse  
4 of the LEU. This process could reduce the waste  
5 volume generated, which is one of the largest  
6 challenges of moly-99 production and is our highest  
7 single cost of production for our moly production in  
8 the Netherlands.

9 In summary, Curium believes Northwest  
10 Medical Isotopes' technology offers distinct  
11 advantages because it is based on well-proven fission  
12 method of moly production and uses existing reactors.

13 Their operations will, importantly, also  
14 be based on low-enriched uranium which meets the  
15 objectives of the U.S. Government Nonproliferation  
16 Policy as stated in the 2012 Nuclear Security Summit  
17 in Seoul, South Korea and the 2014 Nuclear Security  
18 Summit in The Hague in the Netherlands.

19 We are aware of the detailed review made  
20 by Northwest's application by the NRC staff and the  
21 recommendations of the ACRS. In view of this, Curium  
22 encourages the Commission to issue the Northwest  
23 construction permit.

24 Thank you for the opportunity to provide  
25 these comments this morning.

1 CHAIRMAN SVINICKI: Thank you. Does that  
2 conclude the overview presentation from Northwest  
3 Medical Isotopes?

4 MS. HAASS: No, it does not.

5 CHAIRMAN SVINICKI: Okay.

6 MS. HAASS: We have -- I plan on going  
7 through a summary of our licensing approach and give  
8 you a little bit more detail of our facility, both  
9 myself and Steve Reese.

10 CHAIRMAN SVINICKI: Okay, thank you.  
11 Please proceed.

12 MS. HAASS: Okay, can we please go to page  
13 5?

14 So Northwest Medical Isotopes, what we are  
15 doing is we are seeking authorization for us to  
16 construction and eventually operate a production under  
17 10 CFR Part 50. And in this production facility,  
18 there are five primary activities that will be  
19 completed under the Part 50. One is we will receive  
20 irradiated low-enriched uranium targets from the  
21 network of universities that Nick has indicated  
22 previously. We would then process those irradiated  
23 LEU targets and that means in processing we would  
24 dissolve them. We would recover and purify the moly.  
25 Then we would like to recover and recycle the low-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enriched uranium. And we would treat and package all  
2 waste that was generated, as well we would provide  
3 areas for associated laboratory activities and other  
4 support activities, such as chemical makeup, those  
5 types of things.

6 Page 6, please.

7 We also will have some other additional  
8 licensing activities that we need to do. One of the  
9 things that you will see in the graphic that is on  
10 this page is we have a Part 70 portion of our  
11 facility, where we will be manufacturing our target.  
12 And in that portion of the facility, we will produce  
13 our LEU target material, which will then be put in to  
14 the targets themselves, and those targets will be  
15 fabricated and QA'd and those targets are sent to the  
16 universities for irradiation.

17 So there is a Part 70 portion of this  
18 facility as well. Also, we will have -- we will be  
19 seeking a license for the Part 30 or the handling of  
20 byproduct material.

21 In addition, we recognize that the  
22 university reactors will also have to do license  
23 amendments for their facilities so they can irradiate  
24 their targets, as well as we do know that there is a  
25 cask that will be used for the shipment of the

1 irradiated targets that will have to have a license  
2 amendment done on the cask. We are aware of that and  
3 those items are in our schedule and we are working  
4 towards that.

5 One thing to note here is the document,  
6 the construction permit application that you have  
7 received is a complete document, where we evaluated --  
8 we not only evaluated the Part 50 portion but we also  
9 evaluated the target fabrication area because we have  
10 to show the interfaces between the two. We understand  
11 that and we also have to show where our shared systems  
12 and activities are. So we have done that.

13 In developing this document, we used  
14 NUREG-1537 and the associated Interim Staff Guidance  
15 that was developed, as well as NUREG-1520. We  
16 completed an ISA for the entire facility. We didn't  
17 just focus on the 50. We did it for both the 50 and  
18 70 portions of the facility.

19 We have identified IROFS and management  
20 matrix, so we could demonstrate that the facility is  
21 safe.

22 We also evaluated all the radiological and  
23 chemical hazards. We evaluated those against the  
24 performance criteria of 10 CFR 70.61.

25 Page 7 shows a very high-level schedule

1 that we want to start construction this year,  
2 preferably in the second quarter. We plan on ending  
3 construction in the later portions of 2019. And this  
4 is all calendar year, not fiscal year. So I apologize  
5 for not stating that up front.

6 We would like to start our facility -- do  
7 the startup and cold commissioning in the fourth  
8 quarter of 2019, with the hot commissioning and  
9 commercial operations to begin in early 2020. And  
10 then we are looking at decommissioning in 2050.

11 Page 8, please. So this gets a bit more  
12 detailed into what our facility does. And this is  
13 covering both the Part 50 and the Part 70. And so  
14 what you're seeing is we have four primary activities  
15 in this facility.

16 And if you go to your far left, you see  
17 you have target fabrication and there are three  
18 primary activities in target fabrication. One is you  
19 produce the LEU target material; then it is  
20 encapsulated; and then it is packaged so it can be  
21 sent to the universities for irradiation.

22 You notice that there's one picture in the  
23 middle and that is a picture of the University of  
24 Missouri. That is showing we do irradiation. That is  
25 the one thing we do not do in our facility but, as

1 Nick Fowler stated, we use a network of universities  
2 so we can have a securable, reliable supply of moly  
3 because irradiation -- the reactors had issues in the  
4 past of being online due to maintenance or other items  
5 like that.

6 The second activity is our facility is the  
7 irradiated target disassembly and dissolution. So we  
8 bring those targets into our facility. We disassemble  
9 them. And this is all done in a hot cell type area,  
10 where they are shielded, those types of items.

11 We take those targets out. We open them  
12 up. We put the material into a vessel and we dissolve  
13 it with nitric acid.

14 Once you dissolve that, then the primary  
15 thing that we do in this facility is we are trained to  
16 separate and purify the moly. And that is the  
17 critical path of this facility so you will always see  
18 us focused on that, not that the other materials in  
19 the facility aren't important in how you deal with the  
20 waste aspect, that's always the primary thing on a  
21 weekly basis.

22 Once that is done, then we will then focus  
23 on the low-enriched uranium recovery and recycle. The  
24 reason you want to recover and recycle this low-  
25 enriched uranium is you have very little burnup. So



1 it would be too expensive just to go throw that out.  
2 And so we are looking at recovering that and we can  
3 get into more detail, if you'd like to talk about  
4 that.

5 But that is the primary activities of our  
6 facility.

7 Page 9, please. Some other operating  
8 characteristics of our facility. We have a zoning  
9 ventilation system. It has been divided into four  
10 zones, where the airflow is directed from the lowest  
11 to the highest level of contamination with Zone I  
12 ventilation system being an initial confinement  
13 barrier. That is where our gloveboxes, our tank hot  
14 cell, or our processing hot cells are.

15 We also have designed a biological shield,  
16 which will provide an integrated system of features  
17 that protects the workers from high doses of  
18 radiation. And we've also identified engineered  
19 safety features and these engineered safety features  
20 are both active and passive. They're designed to  
21 mitigate the consequences of accidents and keep  
22 radiological exposures to worker at a minimum or at  
23 acceptable values.

24 And one note here, confinement is going to  
25 be considered in the ESF for us.

1           Page 10, please. Page 10 just is showing  
2           the inputs and outputs of our facility. You know you  
3           have to have your reagents. You have to have your  
4           low-enriched uranium that comes from DOE. They are  
5           inputs to our facility.

6           And we know that an output is we send the  
7           unirradiated targets to the university. They  
8           irradiate, the targets come back. We process it. And  
9           outputs are the moly itself; the LEU, whether we  
10          return it to DOE or we decide to dispose of it -- and  
11          that's a business question more than you know anything  
12          else; and then the waste handling.

13          And the types of waste we will have will  
14          be Class A, B, and C and we will not be generating  
15          anything greater than Class C.

16          Page 11. Page 11 shows a picture, a very  
17          high-level picture of our facility. Our facility, the  
18          first level is about 52,000 square feet and that  
19          includes the areas for target fabrication, the hot  
20          cell processing, and our waste management area.

21          There is a basement area within this  
22          52,000 square feet and it's where our tank hot cell  
23          is. This is where all our critically-safe tanks are  
24          for uranium recycle and recovery, and some other  
25          things.

1           There is a second level of this facility,  
2       where the majority of the mechanical equipment will  
3       be.

4           And there are some outbuildings. And you  
5       can see the little gray buildings over to your right  
6       -- well, I guess to your left there. Sorry. And  
7       those outbuildings include you know where your diesel  
8       generator is, there is a waste management building.

9           And then you also see in the lower right,  
10      we have an administration building that will -- that  
11      is where we will manage the facility from.

12          Some basic stats on the facility. It's  
13      about a 65-foot in height facility. The stack will be  
14      75 feet. There is loading docks and it's about 15  
15      feet below grade. That's about how far we go under.

16          I'm going to pass it over to Steve Reese  
17      and he's going to do the last few slides.

18          MR. REESE: Good morning. If I could have  
19      slide 12, please.

20          So I'm going to three last topics, the  
21      first of which deals with radioactive inventory. So  
22      certainly when we talk about Chapter 13 and accident  
23      analysis, it's important to understand where our  
24      radioactive inventory exists.

25          So we can divide into basically three

1 categories. One is the fresh LEU and the processing  
2 of the fresh LEU to produce targets. That's  
3 ostensibly the Part 70 side. That was identified  
4 earlier.

5 The second part is the receipt of the  
6 freshly irradiated targets and the processing for the  
7 desire to produce a moly product in the end and also  
8 to clean and -- essentially clean and scrub the  
9 uranium for recycling purposes.

10 And then the final part is radioactive  
11 waste.

12 So we know that the inventory is largely  
13 going to be driven by from which reactor each of the  
14 targets comes from. And we have a pretty good  
15 understanding of the characteristics that each reactor  
16 will be providing these targets and what these targets  
17 look like coming out.

18 For MURR, we anticipate eight targets,  
19 nominally for normal operation, and for the OSTR the  
20 Oregon State TRIGA Reactor, we're anticipating 30 --  
21 approximately 30 targets.

22 Too, you know the maximum inventory,  
23 because the inventory on each of these targets,  
24 depending on which reactor they come from, will be  
25 different and we can appreciate that.

1           And also we know that the movement of  
2       radioactive material in the facility is going to be  
3       dynamic because we're moving things but also because  
4       of radioactive decay.

5           So if you look to the right, there is a  
6       graphic that tends to -- that is trying to illustrate  
7       this. So in the upper portion, we are looking at  
8       things that are happening during the early stages of  
9       processing. So this is creating the moly product and  
10      the initial movement of the uranium for cleaning.

11          And then the bottom portion essentially is  
12      trying to demonstrate what it looks like after the  
13      batch is processed, such that we know where most of  
14      the radioactive inventory is residing as a function of  
15      time.

16          If I may have slide 13, please.

17          With respect to transportation, this is  
18      related to this effort in terms of the connected  
19      actions. In the environmental review, we are very  
20      aware of the needs of transporting radioactive  
21      material for this project. It involves the use of  
22      research reactors, so there is an inherent need to  
23      transport material.

24          We have identified the packages associated  
25      with each of the transportation evolutions for

1 radioactive material. I won't get into the details of  
2 each of those, just to say that we've identified them.  
3 So what we're looking at is we know we are going to be  
4 receiving fresh shipments from Y-12. We also will be  
5 shipping unirradiated fresh targets to the research  
6 reactors.

7 After they are irradiated, we will be  
8 receiving radioactive material in the form of the  
9 irradiated targets. We will also -- but the shipment  
10 of those will be the responsibility of each of the  
11 reactor facilities.

12 We will also be shipping from our facility  
13 the moly product itself and there will be radioactive  
14 waste that is generated and we have identified both  
15 the class of waste that goes into each container and  
16 how those containers will be utilized and processed  
17 over time.

18 Finally, moving to the last slide, slide  
19 14, the last thing we wanted to go over in the  
20 overview was quality assurance program. We have a  
21 quality assurance program that follows 15.8, which is  
22 the Quality Assurance Program Requirements for  
23 Research Reactors because that is the group under  
24 which we are getting licensed. It follows Reg Guide  
25 2.5 which is the associated reg guide for that quality

1 assurance program. And also we wanted to make sure  
2 that our quality assurance program meets the 70.64  
3 requirement.

4 And with that, we'll move on to slide 15  
5 and I'll turn it over to Carolyn for questions.

6 MS. HAASS: Yes. So that concludes our  
7 overview and we'd like to take any questions you may  
8 have.

9 CHAIRMAN SVINICKI: Okay, thank you for  
10 that overview presentation, which was very helpful  
11 because this is a very unique facility.

12 We will begin this question and answer  
13 period with my questions. So, let me begin. This is  
14 in no particular order but just some clarifying  
15 questions, I think.

16 So on slide 4, you showed an overhead view  
17 or depicted the Discovery Ridge Research Park. And I  
18 know that the lot that your facility would occupy was  
19 in agriculture uses. As you would move toward your  
20 desired operational date of 2020, do you envision that  
21 there is a likelihood that the other occupants in the  
22 Discovery Ridge Research Park, that that could change  
23 substantially from how it is now? Could it be more  
24 heavily occupied? What is your projection at the time  
25 at which the facility would go operational?

1                   MR. FOWLER: I'll be happy to address  
2                   that. First, I would note that our facility is near  
3                   the entrance of the research park and is designed to  
4                   have minimal impact on the remainder of the research  
5                   park.

6                   As to the population of currently vacant  
7                   sites, I can only pass on hearsay from the University  
8                   of Missouri. It would be best directed to them but  
9                   they are actively developing this research park and  
10                  aspire to have additional occupants within the  
11                  research park. And as I previously mentioned in my  
12                  remarks, their intent is and our intent is to  
13                  establish an ecosystem of like-minded and similar  
14                  radioisotope production facilities and handling  
15                  facilities.

16                  CHAIRMAN SVINICKI: That's helpful. And  
17                  I realize that it is merely a forecast but it sounds  
18                  like with active efforts to fill other spaces in the  
19                  park, there is at least the potential that it could be  
20                  a little bit busier and more occupied than it is today  
21                  if those efforts are successful by the university.

22                  I know that the overall contemplated  
23                  business here is dependent on irradiation in  
24                  university reactors. You have named two specifically.  
25                  A third reactor has been referred to.



1           So I draw the conclusion that the two  
2 identified university reactors there is some very  
3 concrete certainty in that, perhaps even in the third  
4 although they are not yet named. Do you contemplate  
5 that over the period of operation there would be other  
6 potential university research reactors that would be  
7 participating in the irradiation process or do you  
8 view the set of two named and one unnamed as the basic  
9 kind of class or universe of research reactors that  
10 would be engaged in your operations over the course of  
11 time?

12           MR. FOWLER: Thank you for that question,  
13 Madam Chair.

14           The intention is a balance between the  
15 cost of sustaining multiple participants in an  
16 irradiation network and the sustenance of an assured  
17 and reliable supply. Our analysis indicates that the  
18 ideal number is between two and three, under the  
19 current operating tempos of the university reactors  
20 and hence, our application specifically and explicitly  
21 identifies two. And a third is in the background as  
22 being contemplated but not within the immediate  
23 horizon.

24           CHAIRMAN SVINICKI: Thank you. And Ms.  
25 Haass, I believe, stated during the course of her

1 presentation that the overall activities necessary to  
2 amend the licenses for the university reactors and  
3 also needed licensing work for certificates of  
4 compliance for over-the-road packaging, that those  
5 items are contemplated in your integrated schedules  
6 and time has been provided for that.

7 How would you characterize the level of  
8 certainty around that? In some cases, these actions  
9 need to be taken by other entities, other than  
10 Northwest Medical Isotopes. Would you characterize  
11 that there is a commitment on the part of those  
12 entities and that that area of the integrated  
13 schedule, you have confidence of that portion of your  
14 integrated schedule?

15 MS. HAASS: Yes, we have services  
16 agreement with the universities and they have  
17 committed to a schedule. We do work with them in a  
18 very detailed fashion. We support them in their  
19 license amendment, in preparing it so it can be done  
20 on a specific schedule and so that they understand our  
21 facility and what we are doing.

22 Like on the certificate of compliance for  
23 the cask, we're very aware of the cask that we need to  
24 use to ship the irradiated targets, we currently  
25 envision using the research reactor cask. And we know

1 who the owner of that COC is. We have been working  
2 with them. We've already done the modeling that we  
3 needed to do so they can start writing the license  
4 amendment for that.

5 And even with the reactors, we have  
6 already -- we've done a lot of modeling to go develop  
7 the information that is required in those license  
8 amendments. And there are certain things that are  
9 being done behind the scenes that are business  
10 sensitive to us but we are working directly with them.

11 And Steve Reese is also the director of  
12 the Oregon State University TRIGA Reactor. And so he  
13 can go a little bit into more detail if you would like  
14 to.

15 CHAIRMAN SVINICKI: Okay. Well, perhaps  
16 knowing that I would ask you, if you are able to  
17 provide this in a public setting. Are there physical  
18 modifications that are contemplated or necessary at  
19 university reactor locations in order to fulfill this  
20 irradiation service?

21 MR. REESE: Yes. So each reactor is  
22 unique. We know which modifications need to be done  
23 at University of Missouri and we know which  
24 modifications need to be done at Oregon State TRIGA  
25 Reactor. It doesn't change the footprint of the

1 facility at all. These will be modifications that  
2 essentially address the target handling.

3 CHAIRMAN SVINICKI: Okay. So is it  
4 accurate to state that they are of the nature that any  
5 user of the research reactor who had a research  
6 program might come in and need modest set of physical  
7 modifications to allow their research to be pursued?  
8 It is akin to that in complexity. Is that accurate?

9 MR. REESE: Yes. So I mean we couldn't do  
10 this and preclude research at the research reactor.  
11 So that it was done from the very beginning that was  
12 realized.

13 CHAIRMAN SVINICKI: Okay and my last  
14 question is somewhat general for anyone on the panel.

15 You do have a number of licensing actions.  
16 There is a bit more complexity here. Some are  
17 undertaken solely by Northwest Medical Isotopes,  
18 others are external parties, as Ms. Haass just  
19 responded.

20 When you look at your integrated schedule,  
21 what do you view as the critical path item in all of  
22 the licensing activities that lead up to permission to  
23 operate the facility? Is there any one thing?

24 MR. REESE: I can begin to address that  
25 and I would invite Ms. Haass to add to it.

1           Our overall schedule that was presented in  
2           the presentation, the critical path is clearly the  
3           licensing action not only for Northwest Medical  
4           Isotopes but the connected actions of parties. So we  
5           do focus a tremendous amount of our energy on the  
6           licensing approach and we stay under a close contact  
7           with the Nuclear Regulatory Commission team to  
8           telegraph the activities and strategize on the  
9           application process to ensure that we're meeting the  
10          requirements in an initial submission, as opposed to  
11          iterate through to process.

12           But clearly, the regulatory process is the  
13          critical path to our schedule.

14           CHAIRMAN SVINICKI: By that answer, is it  
15          accurate to characterize that you foresee no unique  
16          and unexpected complexities during the construction  
17          period?

18           MS. HAASS: You are correct, yes. We  
19          don't see any unique items. I mean this -- we  
20          understand what our facility needs to be. We  
21          understand -- we're already working through our final  
22          design.

23           Yes, there are always difficulties in  
24          finishing your design. You know we always worry about  
25          the structural aspect because if seismic, those types

1 of things, but those things can be worked through.

2 And you know we have the right team to go  
3 do that. They have already done this in the past,  
4 whether they've done it with Commercial Power or even  
5 for the Department of the Energy in some of their  
6 processing facilities.

7 CHAIRMAN SVINICKI: Okay, thank you all  
8 very much for those responses.

9 Next, we will turn to Commissioner Baran.  
10 Please proceed.

11 COMMISSIONER BARAN: Good morning. Thank  
12 you for your presentations. I'm actually interested  
13 in picking up right where you left off, which on the  
14 completeness of the design.

15 How complete do you consider the design of  
16 the facility to be right now and what level of  
17 completeness do you envision before construction  
18 begins?

19 MS. HAASS: So on the first question of  
20 where we are now, for the application itself, we're at  
21 a different design than when we submitted the  
22 application two years ago because we have continued on  
23 with that design. At the submission of this, we  
24 believe we are probably somewhere around the 40-45  
25 percent complete in design but since that time, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have gone in and we have worked through a lot of our  
2 process design and we are now working -- you know we  
3 are doing at the final design. We look at it both  
4 from the natural phenomena perspective because that is  
5 a very basic input from a structural and civil  
6 perspective. We're working through that.

7 So at the start of construction, we  
8 believe to be able to go to have construction drawings  
9 and to be able to do that, we believe we are going to  
10 have to be somewhere around 80 to 85 percent complete  
11 in design.

12 COMMISSIONER BARAN: Okay. Part 50  
13 construction permit applicants typically analyze  
14 production facility accident scenarios using a concept  
15 of a maximum hypothetical accident. You took a  
16 different approach here and used the Part 70  
17 integrated safety analysis analogy for all potential  
18 accident scenarios.

19 Can you talk a little bit about why you  
20 decided on the integrated safety analysis approach and  
21 do you think it provides more detailed or less  
22 detailed review of potential accident scenarios than  
23 the maximum hypothetical accident approach?

24 MR. REESE: That's a very interesting  
25 question and was the subject of a lot of discussion

1 very early on. Honestly, mostly it was driven by  
2 their recognition that this licensing action was going  
3 to be a shared exercise between the Part 50 and the  
4 Part 70 folks, simply because -- and the staff would  
5 in a much better position to provide you details on  
6 this, but it's pretty clear that the licensing falls  
7 under Part 50. But it's also very clear the way this  
8 facility will function, that Part 70 plays a very  
9 significant role.

10 So as a compromise, not wanting to do two  
11 separate efforts, we chose one effort that was allowed  
12 for the Part 50 under 1537 and also would meet the  
13 needs of the Part 70 folks. So, to do that, the  
14 maximum hypothetical accident doesn't help you on the  
15 Part 70 side.

16 COMMISSIONER BARAN: I see, okay. So it  
17 allows you a more streamlined, one approach --

18 MR. REESE: Yes, we wanted to do it once.

19 COMMISSIONER BARAN: -- for both aspects  
20 of it.

21 MR. REESE: Yes.

22 COMMISSIONER BARAN: Okay.

23 MS. HAASS: And just to reiterate, when we  
24 did this license action, you know we looked at the  
25 facility as a whole. We did not just do the Part 50.



1 When you read our application, it will have the  
2 complete facility, both the Part 50 and the 70  
3 activities and how they are integrated.

4 COMMISSIONER BARAN: Okay. The NRC staff  
5 included a number of regulatory commitments for the  
6 applicant to address prior to or within the operating  
7 license application. Can you talk briefly about how  
8 you are tracking those commitments to ensure that they  
9 would be met?

10 MR. REESE: Could you repeat that?

11 COMMISSIONER BARAN: Sure. So for the  
12 regulatory commitments that have been identified by  
13 the staff in this process that would be kind of a  
14 background in terms of getting construction permits,  
15 a lot of those would be preconditions of a submittal  
16 of an operating license application. Some of them  
17 would be included in the operating license  
18 application.

19 Can you just talk briefly about how you  
20 are tracking those to make sure all those commitments  
21 would be met?

22 MS. HAASS: So we do have a commitment  
23 list. We understand from our initial application that  
24 we have submitted, based on all the RAIs we got, and  
25 where we said that we would -- said we will be

1 supplying that in the operating license application.  
2 We have documented that, obviously, in a commitment  
3 tracking list.

4 We also put it into our application where  
5 we have to go in and answer that question before we  
6 can take that out because we have a very interactive  
7 document.

8 COMMISSIONER BARAN: Okay, thank you very  
9 much.

10 CHAIRMAN SVINICKI: Thank you,  
11 Commissioner. We now recognize Commissioner Burns.

12 COMMISSIONER BURNS: Good morning and  
13 thank you for your testimony as we begin the  
14 proceedings today.

15 A few questions related to the overview of  
16 the facility and this overview panel. One thing I  
17 would be interested in, what level of public  
18 involvement did you have during the site selection  
19 process and what kind of feedback did you receive from  
20 the local community when selecting the location for  
21 the proposed facility?

22 MR. FOWLER: Thank you, Commissioner. I  
23 can begin the answer and ask Ms. Haass to complete the  
24 answer.

25 We initiated the selection of the sites

1 through a logistics analysis exercise that was largely  
2 internal. And that was to identify logistically-ideal  
3 sites around the country, depending upon our  
4 anticipated reactor network, balancing transportation  
5 time, and the operating tempos of each of the  
6 reactors.

7 Once we down-selected from a handful of  
8 sites to a smaller number of sites is when we  
9 initiated the more public process. And in each  
10 facility location potential, we contacted the local  
11 business organization, be it the Chamber of Commerce,  
12 or through the Economic Development arm, or through  
13 the university system to begin the outreach.

14 And had a series of dialogues that were  
15 proprietary between those organization and Northwest  
16 Medical Isotopes, until we got down to the final  
17 selection of Columbia, Missouri where, through the  
18 environmental action, we broadened the scope of  
19 conversations to be very public and visited publicly  
20 with business groups, with civic groups, with the  
21 Native American groups, as well as the university  
22 community prior to the formal environmental  
23 application.

24 Ms. Haass, would you like to add to that?

25 MS. HAASS: Actually, no, I think you

1 covered everything. I mean it was a very detailed  
2 process you know visiting the communities, visiting  
3 the university -- the potential universities.

4 And as Nick said, you know we looked  
5 throughout the country. We looked anywhere there was  
6 a university research reactor, whether it was in the  
7 Northeast, it was in Wisconsin, Texas, California,  
8 wherever.

9 And it really came down to -- the first  
10 thing we did, part of the internal processes, was  
11 there even the ability of these research reactors to  
12 support us. And I'll be honest, I'll give you a good  
13 example, and there is nothing against this university  
14 but Wisconsin has a phenomenal reactor.  
15 Unfortunately, they built their mechanical engineering  
16 building around the reactor and you can't get in and  
17 out. So we knew that that wasn't going to work for  
18 us.

19 So transportation and just the logistics  
20 of getting in and out, that's where we got our short  
21 list from.

22 COMMISSIONER BURNS: Thank you for that.

23 You referred to the Interim Staff Guidance  
24 implementing NUREG-1537, which is really a line to the  
25 licensing of non-power reactors. And I recognize this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as the second proceeding we've had in the last year or  
2 so where we're sort of banging a square peg in a round  
3 hole, if you will. But understanding that, because of  
4 the provisions in the Act and in the regulations, and  
5 I think Mr. Reese, I may follow-up a little bit on  
6 your answer with respect to this integration,  
7 particularly Part 50 and Part 70.

8 But the question I have for you, how do  
9 you think that guidance worked and have you reflected  
10 on any sort of lessons learned from it or communicated  
11 with the staff with respect to those kinds of lessons  
12 or how it worked in practice, as you were developing  
13 the application and going through the review?

14 MR. REESE: If I may, so 1537 is pretty  
15 good about laying out what you need to cover under  
16 each chapter. And the ISG was an attempt to cover  
17 some newer concepts that were coming down the pipe --  
18 if you recall, aqueous homogeneous reactors was one of  
19 them, to try to address specifics of that.

20 So along comes Northwest Medical Isotopes  
21 that is yet different again because 1537 and even the  
22 ISG, I think it may be a little bit of a jump here,  
23 but I think it was envisioned that the irradiation  
24 facility would be co-located with the processing  
25 facility. Here we have a situation where we don't

1 have any irradiation going on and it's just purely  
2 processing.

3 So there wasn't specific guidance for our  
4 specific characteristics but 1537 did a pretty  
5 reasonable job allowing us to articulate what you want  
6 the safety issues associated with the facility.

7 COMMISSIONER BURNS: Okay, thanks.

8 MR. FOWLER: And if I could --

9 COMMISSIONER BURNS: Sure, Mr. Fowler.

10 MR. FOWLER: -- add very, very briefly.  
11 From a purely business standpoint, not from a  
12 technical guidance standpoint, in any business the  
13 schedule risk and unknown risks are the most  
14 challenging and most expensive to manage. And given  
15 the small number of companies that have gone through  
16 this process, there is significant risk inserted into  
17 our businesses because of the lack of precedent  
18 actions.

19 Specifics that I would request in the  
20 future, again from a purely business standpoint, is  
21 schedule and cost. It has been challenging for us, as  
22 a business who is completely privately funded, to  
23 manage schedule and cost through the regulatory  
24 process. And I'm sure this is not the first time that  
25 you have heard that input.

1 COMMISSIONER BURNS: Okay, I think not.  
2 I appreciate the answer because that does, I think,  
3 help -- it's something for us to reflect on as we go  
4 into licensing proceedings. Some what I will call  
5 more normalized but also where we are trying to adapt  
6 and integrate different parts of the regulations.

7 And finally, my last question on that is  
8 about integration, in a sense of the regulations. You  
9 talk about in terms of the operating license, having  
10 the Part 50 portion but also the Part 70, which in my  
11 impression from the record, as well as your  
12 presentation, that is the significant portion is the  
13 Part 70 type operations, if you will.

14 But is it also intention that you would  
15 have the Part 30 license as part of that as one  
16 integrated license? I wasn't clear from what I heard.

17 MS. HAASS: Yes, we would have one  
18 integrated license.

19 COMMISSIONER BURNS: Okay.

20 MS. HAASS: What we would do is we would  
21 have a very detailed crosswalk so it can identify  
22 where the Part 50 items are being met, where the 70,  
23 and where the 30 are met. And so we've spent  
24 significant time developing that.

25 COMMISSIONER BURNS: Thank you.

1 MR. REESE: All right, so it's true, if I  
2 could correct -- not correct but continue on with what  
3 Carolyn said, I think what we've worked out with the  
4 staff is that, and you saw this on a graphic earlier,  
5 that there is a Part 70 area and there is a Part 50  
6 area. And it's a bit of a compromise and the reason  
7 why is it is pretty clear that the Part 50 area  
8 encompasses definitions found in Part 50 but it also  
9 contains Part 70 issues and Part 30 issues.

10 So what I think will likely happen is a  
11 Part 50 license will be issued with that, whereby we  
12 have to meet all the requirements of Part 70 and Part  
13 30 underneath that Part 50 license.

14 But it also was identified that the Part  
15 70 area that was shown in the graphic is essentially  
16 just doing Part 70 and nothing else.

17 So with that in mind and because there was  
18 an ability for one to reasonably and intellectually  
19 wall that off, such that there is no activities  
20 associated with basically anything other than Part 70,  
21 there was a decision made that that section alone  
22 would have a separate Part 70 license and only a Part  
23 70 license. So we are in a situation where we have  
24 one building and we're going to have two licenses, one  
25 Part 70 and one Part 50, which is the reason why we've



1       been using that language back and forth this morning.

2               COMMISSIONER BURNS:   Okay.   All right,  
3       thank you.   I'll leave it at that for now.

4               CHAIRMAN SVINICKI:   Okay, thank you to the  
5       Northwest Medical Isotopes overview panel.   I'm now  
6       going to ask the NRC staff witnesses to come and take  
7       the seats here at the table behind their name plates.  
8       And I'll give them a moment to come over here and do  
9       that.

10              While they are getting seated, I would  
11      note that in this panel, the NRC staff will provide an  
12      overview of its review of the application and a  
13      summary of its regulatory findings.

14              As the NRC staff witnesses take their  
15      seats, I would ask that they introduce themselves  
16      prior to presenting their portion of the presentation  
17      or if the NRC lead witness for the panel wants to  
18      introduce them, either of those are appropriate.   Just  
19      make sure that you introduce yourself or you have been  
20      introduced before you present.

21              And with that, I am prepared to request  
22      that the staff proceed.   They're still turning pages  
23      and opening binders but if we're ready to go, I turn  
24      it over to whoever is taking the lead here.

25              Michele, please proceed.

1 MS. EVANS: All right, good morning,  
2 Chairman, Commissioners. Can I have the first slide  
3 -- second slide. There we go.

4 So my name is Michele Evans and I'm a  
5 deputy director in the Office of Nuclear Reactor  
6 Regulation. And I also have a cold. Excuse me.

7 Okay, so with me at the table this morning  
8 are Mary Jane Ross-Lee, Joe Donoghue, and Brian Smith.  
9 This panel will provide context for the role of the  
10 U.S. Regulatory Commission or the NRC in domestic  
11 efforts to establish a reliable supply of molybdenum-  
12 99, also referred as moly-99.

13 We will introduce the methodology that the  
14 NRC staff used in its review of the Northwest Medical  
15 Isotopes construction permit application and introduce  
16 the unique aspects of the staff's safety and  
17 environmental reviews that will be discussed further  
18 in the panels to follow.

19 Next slide, please.

20 Moly-99 decays into technetium-99  
21 metastable, the most widely used medical radioisotope  
22 in the world. Technetium-99m is used in approximately  
23 50,000 imaging procedures daily in the United States,  
24 accounting for about one-half of the global demand.  
25 Technetium-99m is an effective diagnostic tool because

1 of its chemical and nuclear properties, specifically,  
2 pharmaceuticals readily tag to it and its six-hour  
3 half-life minimizes patient radiation exposure.

4 Currently, there is no domestically-  
5 produced moly-99. While the United States continues  
6 to receive moly-99 from overseas suppliers,  
7 significant amounts are lost in transit due to  
8 radioactive decay.

9 Next slide.

10 Consistent with the United States policy  
11 to establish a domestic supply of moly-99, the staff  
12 considers license applications for facilities that  
13 would produce moly-99 without highly-enriched uranium.

14 In 2016, the NRC issued a 10 CFR Part 50  
15 construction permit to SHINE Medical Technologies, or  
16 SHINE, for the production of moly-99 using up to eight  
17 accelerator-driven subcritical irradiation units in  
18 one production facility.

19 Since 2015, the staff has been actively  
20 reviewing a second medical radioisotope construction  
21 permit application submitted by Northwest Medical  
22 Isotopes, which going forward we will refer to as  
23 Northwest or NWMI. If granted, this construction  
24 permit would allow Northwest to build a 10 CFR Part 50  
25 production facility in Columbia, Missouri. Once

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 constructed, this facility would be used to produce  
2 moly-99 from low-enriched uranium targets that have  
3 been irradiated at existing research reactors.

4 Next slide.

5 So Mary Jane Ross-Lee will now discuss the  
6 approach the staff used to review the Northwest  
7 construction permit application. M.J.

8 MS. ROSS-LEE: Thank you, Michele,  
9 Chairman, Commissioners.

10 The staff review of the Northwest  
11 construction permit application was supported by  
12 procedural efficiencies and lessons learned from  
13 previous reviews. For example, the staff docketed a  
14 Northwest construction permit application in two  
15 parts. Part 1 of the application consisted primarily  
16 of the Northwest environmental report and general  
17 information required by 10 CFR 50.33 and was docketed  
18 in June of 2015. Part 2 of the application contained  
19 the Northwest Preliminary Safety Analysis Report or  
20 PSAR and was docketed in December of 2015.

21 This two-part application process  
22 submission enabled the staff to begin its  
23 environmental review months before the docketing of  
24 the full application and the commencement of the  
25 safety review.

1           Additionally, based on its experience with  
2       SHINE review, the staff was able to use previously  
3       developed document templates to draft its Safety  
4       Evaluation Report and Environmental Impact Statement  
5       and to issue clear, focused Requests for Additional  
6       Information.

7           The staff also applied insights gained  
8       from the development of its Non-Power Production and  
9       Utilization Facility Construction Oversight Program to  
10      the review of the Northwest construction permit  
11      application. For example, in December 2015, the staff  
12      published Inspection Manual Chapter 2550, establishing  
13      a construction inspection program for non-power  
14      production and utilization facilities. One of the  
15      objectives of this construction inspection program is  
16      to verify whether a licensee adequately implements its  
17      quality assurance program during the construction of  
18      its facility.

19          Therefore, to ensure the implementation of  
20      the program and to be consistent with Part 50  
21      requirements for other Part 50 facilities, the staff  
22      recommends that the Northwest construction permit be  
23      conditioned to require the implementation of a quality  
24      assurance program described in the Northwest PSAR.

25          The staff completed its review within 23

1 months from the docketing of the application and spent  
2 approximately 10,000 hours reviewing the application.  
3 NRC contractors spent an additional 2,000 hours in  
4 support of the staff review.

5 Next slide, please.

6 Northwest seeks authorization to construct  
7 a 10 CFR Part 50 production facility. NRC regulations  
8 require less detail for a Part 50 construction permit  
9 application than for a Part 50 operating license  
10 application or a Part 52 combined license application,  
11 particularly when the applicant does not seek approval  
12 of the final design.

13 The required content of a construction  
14 permit application is specified in Section 50.34 and  
15 includes the preliminary design of the facility; a  
16 preliminary analysis of structures, systems, and  
17 components; probable subjects of technical  
18 specifications; a preliminary emergency plan; a  
19 quality assurance; and ongoing research and  
20 development.

21 The Northwest application also describes  
22 activities to be conducted within a target fabrication  
23 area under a 10 CFR Part 70 licensed to be located in  
24 the same building as its proposed production facility.  
25 Northwest stated that it will submit this Part 70

1 application at a later date.

2 As part of its construction permit safety  
3 review, the staff focused on the interface between the  
4 production facility and target fabrication processes,  
5 as well as the impact of the target fabrication  
6 processes on the production facility. However, the  
7 staff's findings and conclusions in its Safety  
8 Evaluation Report are limited to whether the Northwest  
9 production facility satisfies the Part 50 requirements  
10 for the issuance of a construction permit.

11 In its environmental review, the staff  
12 considered both the potential environmental impacts  
13 from the construction of the Part 50 production  
14 facility and also the actions connected to the  
15 issuance of a construction permit.

16 As documented in staff's final  
17 Environmental Impact Statement or EIS, connected  
18 actions, in part, include the construction,  
19 operations, and decommissioning related to the Part 70  
20 target fabrication area.

21 Based on the information that Northwest  
22 has provided to date, Part 70, not Part 50, would  
23 govern the possession and use of special nuclear  
24 material in the portions of the site where target  
25 fabrication activities would occur. If Northwest were

1 to commence construction on the portions of the site  
2 where target fabrication activities would occur, the  
3 ability of the staff to conduct future environmental  
4 and safety reviews of the Part 70 application for the  
5 target fabrication area would not be affected.  
6 However, the commencement of construction of the  
7 target fabrication area prior to the staff completing  
8 its environmental review of a Part 70 license  
9 application for the target fabrication activities may  
10 be grounds for the denial of a Part 70 license, if  
11 Northwest does not obtain an exemption.

12 In December of 2017, Northwest submitted  
13 such an exemption request. The staff is currently  
14 performing a docketing acceptance review on this  
15 exemption request.

16 Next slide, please.

17 The staff evaluation of the Northwest  
18 construction permit application consisted of two  
19 concurrent technical reviews; one, a safety review  
20 based on the Northwest PSAR and the other, an  
21 environmental review, based on Northwest's  
22 environmental report.

23 I will discuss the staff's safety review  
24 and Joe Donoghue will discuss the staff environmental  
25 review.



1           The staff safety review assessed the  
2           sufficiency of the preliminary design, including the  
3           principle design criteria and design basis of the  
4           proposed Northwest production facility. The staff  
5           safety review was also subject to an independent  
6           review by the Advisory Committee on Reactor  
7           Safeguards. The Committee concluded that the  
8           Northwest had demonstrated knowledge of potential  
9           hazards and accidents and of safety requirements and  
10          that the topics that the committee had identified  
11          during its review were documented by the staff and  
12          Northwest. The staff will consider those technical  
13          areas undergoing final design during its review of a  
14          Northwest Final Safety Analysis Report, or FSAR,  
15          submitted as a part of an operating license  
16          application.

17               Following the independent review of the  
18          committee, the staff completed its Safety Evaluation  
19          Report in November of 2017.

20               Next slide, please.

21               The staff safety review of the Northwest  
22          construction permit application considered the  
23          physical, radiological, chemical, and licensing  
24          processes of the proposed facility. Given the  
25          similarities between the proposed Northwest Part 50

1 production facility and existing Part 70 fuel cycle  
2 facilities, the staff adapted existing guidance  
3 documents to accommodate this unique combination of  
4 technical and licensing considerations.

5 Specifically, the staff conducted its  
6 review by using guidance contained in NUREG-1537,  
7 which is the standard review plan for non-power  
8 reactors; the Interim Staff Guidance, or ISG,  
9 augmenting NUREG-1537, which contains the standard  
10 review plan for medical radioisotope production  
11 facilities; and NUREG-1520, which is the standard  
12 review plan for fuel cycle facilities.

13 In applying this guidance, the staff  
14 exercises judgment to determine the applicability of  
15 acceptance criteria and evaluation findings. The  
16 staff also exercises judgment determining the level of  
17 detail needed for a preliminary versus a final design  
18 in the safety review of the Northwest construction  
19 permit application.

20 To support the issuance of a construction  
21 permit, the staff evaluated the descriptions and  
22 discussions of the Northwest structures, systems, and  
23 components with special attention to the design and  
24 operating characteristics, unusual or novel design  
25 features, and principal safety considerations. The

1 preliminary design of the Northwest production  
2 facility was evaluated to assure the sufficiency of  
3 principal design criteria, design basis, and  
4 information relative to materials of construction,  
5 general arrangement, and approximate dimensions as  
6 required by 10 CFR 50.34(a).

7 The staff also evaluated the sufficiency  
8 of the preliminary design to provide reasonable  
9 assurance that the Northwest final design would  
10 conform to the design basis.

11 Next slide, please.

12 An important part of the staff's safety  
13 review is determining what additional technical and  
14 design information not initially provided in the  
15 Northwest PSAR was necessary to support the issuance  
16 of a construction permit. To this end, the staff  
17 requested additional information and Northwest revised  
18 its application, as needed, in response to these  
19 requests.

20 The staff determined that with the  
21 additional information, Northwest has provided the  
22 information necessary for the staff to complete its  
23 safety review. The staff concluded that a  
24 construction permit should be issued, provided that it  
25 include certain permit conditions to support the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 finding of reasonable assurance for the licensing  
2 action.

3 For example, one condition would require  
4 Northwest to provide, prior to completion of  
5 construction, periodic updates on the design of its  
6 proposed criticality accident alarm system. This  
7 would require Northwest to establish the appropriate  
8 thickness of the shielding that would surround this  
9 system before construction is complete. If the  
10 shielding is too thick, the alarm system might not  
11 perform as required. If the shielding is too thin,  
12 radiation protection could become a concern.

13 Additionally, based on the Commission  
14 prehearing questions, the staff now recommends that  
15 the construction permit be conditioned to require that  
16 prior to the beginning of construction, Northwest  
17 complete and submit to the NRC the results of a site-  
18 specific geotechnical investigation. This condition  
19 would require that the results of the geotechnical  
20 investigation be available to enable Northwest to  
21 identify sinkhole potential, soil characteristics, and  
22 liquefaction potential at the site that could impact  
23 the design of the facility before Northwest begins  
24 construction.

25 Consistent with 10 CFR 50.35, the

1 recommended conditions would ensure that Northwest  
2 conforms to the final design of its -- confirms that  
3 the final design of its facility would conform to the  
4 design basis as the design matures.

5 In instances where additional information  
6 may reasonably be left for later consideration in the  
7 FSAR, Northwest has made commitments to provide such  
8 information. These commitments are listed in Appendix  
9 A of the Safety Evaluation Report and the staff will  
10 verify that they have been addressed during its review  
11 of the Northwest operating license application.

12 Next slide, please. Joe Donoghue will now  
13 discuss the staff environmental review of the  
14 Northwest construction permit application.

15 MR. DONOGHUE: Thank you, Mary Jane. Good  
16 morning, Chairman, Commissioners.

17 The environmental review of the Northwest  
18 10 CFR Part 50 construction permit application was  
19 performed in accordance with the National  
20 Environmental Policy Act of 1969, commonly referred to  
21 as NEPA. NEPA requires that agency decisionmaking  
22 include the consideration of the environmental impacts  
23 of federal actions. NEPA also requires federal  
24 agencies to follow a systematic approach in evaluating  
25 potential impacts and to assess alternatives to their

1 actions. The NEPA process involves public  
2 participation during prescribed periods and public  
3 disclosure.

4 The NRC regulations implementing NEPA are  
5 set forth in 10 CFR Part 51. These regulations  
6 describe when the staff should prepare an EIS, or  
7 environmental assessment. NRC regulations do not  
8 require the preparation of an EIS for the issuance of  
9 a Part 50 construction permit for a medical isotope  
10 production facility; however, the staff determined  
11 that an EIS would be appropriate for the Northwest  
12 Part 50 construction permit and application for two  
13 reasons: 1) an environmental assessment might not  
14 support a finding of no significant impact; and 2)  
15 operation of the Northwest facility, which would be a  
16 connected action to the construction of the facility,  
17 would include the possession and use of special  
18 nuclear material for target fabrication and scrap  
19 recovery, processes similar to those used at fuel  
20 fabrication facilities.

21 Notably, the issuance of a license to  
22 possess and use special nuclear material for scrap  
23 recovery requires an EIS to be prepared in accordance  
24 with 10 CFR 51.20(b) and (7). The purpose of the  
25 environmental review is to identify the environmental

1 impacts of constructing the proposed facility and the  
2 impacts of the connected actions of operating and  
3 decommissioning the facility, as well as alternatives  
4 for the facilities.

5 In combination with the safety review, the  
6 environmental review will inform the staff  
7 recommendation to the commission of whether to issue  
8 the construction permit.

9 Next slide, please.

10 The environmental review process for  
11 preparing an EIS was conducted in accordance with 10  
12 CFR Part 51. As depicted on the slide, there was a  
13 scoping period to gather input from the public, other  
14 governmental agencies, and tribes regarding the scope  
15 of the EIS. The staff conducted an environmental site  
16 audit to view the environmental features of the  
17 proposed site and the alternative sites.

18 In addition, the staff developed Requests  
19 for Additional Information to clarify information in  
20 the Northwest environmental report and to seek  
21 additional information not included in the Northwest  
22 environmental report. Based on this information, the  
23 staff published the draft EIS for public comment in  
24 October of 2016. The staff responded to all comments  
25 received in the final EIS, which was published in May

1 2017. The staff also updated the final EIS in  
2 response to the comments.

3 Next slide, please.

4 The proposed site is located approximately  
5 three miles southeast of the city of Columbia,  
6 Missouri and is owned by the University of Missouri.  
7 The proposed site consists of previously disturbed  
8 agricultural lands. The proposed site does not  
9 contain any surface water features, no threatened or  
10 endangered species, or no historical or cultural  
11 resources.

12 Based on its review, the staff determined  
13 that the impacts to all resource areas would be small.  
14 An impact level of small means that the environmental  
15 effects are not detectable or are so minor that they  
16 would neither destabilize nor noticeably alter any  
17 important attribute of the resources.

18 Next slide, please. Brian Smith will now  
19 discuss the statutory and regulatory basis for the  
20 issuance under Part 50 construction permit and the  
21 staff's overall safety and environmental findings.

22 MR. B. SMITH: Thank you, Joe. Good  
23 morning, Chairman, Commissioners.

24 Section 103 of the Atomic Energy Act  
25 authorizes the Commission to issue licenses for



1 production facilities subject to the Commission  
2 regulations. The principal safety requirements  
3 applicable to construction permits for production  
4 facilities are contained in 10 CFR Parts 20 and 50.  
5 The applicable environmental requirements are  
6 contained in 10 CFR Part 51.

7 After completing the required safety and  
8 environmental reviews, the staff determined that the  
9 Northwest application met the applicable requirements  
10 in 10 CFR Parts 20, 50, and 51. This determination  
11 was reached, in part, by applying the guidance in the  
12 ISG augmenting NUREG-1537, the standard review plan  
13 for medical radioisotope production facilities. This  
14 guidance allows applicants to use the performance  
15 requirements of 10 CFR 70.61 to demonstrate adequate  
16 safety for a medical radioisotope production facility,  
17 particularly with respect to postulated accidents.

18 For example, the performance requirements  
19 of 10 CFR 70.61 can be used to establish criteria to  
20 protect against chemical hazards and ensure  
21 subcriticality under normal and credible abnormal  
22 conditions.

23 Next slide, please.

24 The staff review supports the four  
25 findings required by 10 CRF 50.35 for the issuance of

1 a construction permit. The first finding is that the  
2 applicant has described the proposed design of the  
3 facility. The staff used 10 CFR 50.34(a) and its  
4 guidance to evaluate the sufficiency of the Northwest  
5 preliminary design, making sure that its proposed  
6 design bases and criteria are consistent with NRC  
7 regulations and guidance.

8 Based on its review, the staff concludes  
9 that Northwest has described the proposed design of  
10 the facility, including but not limited to the  
11 principal, architectural, and engineering criteria for  
12 the design and has identified the major features or  
13 components incorporated therein for the protection of  
14 the health and safety of the public.

15 The second finding is that the applicant  
16 has identified technical or design information that  
17 can reasonably be left for later consideration in the  
18 FSAR. The PSAR identified such information. This  
19 includes, for example, the security and emergency  
20 plans, facility operating procedures, and certain  
21 design information that Northwest committed to provide  
22 in the FSAR. As discussed, these commitments are  
23 listed in Appendix A of the Safety Evaluation Report  
24 and the staff will confirm that Northwest addresses  
25 these items in its FSAR.

1           The third finding is that the applicant  
2           has identified safety features that required further  
3           research and development. While Northwest did not  
4           identify any structures, systems, or components that  
5           require research and development to confirm the  
6           adequacy of the facility design, Northwest did  
7           describe ongoing validation testing at the University  
8           of Missouri, Columbia Research Reactor and, at the  
9           Department of Energy National Laboratories, resin  
10          testing and ion exchange column testing.

11           As described in the Safety Evaluation  
12          Report, the staff is tracking these items and will  
13          verify their resolution prior to the completion of  
14          construction as part of this review of an operating  
15          license application.

16           The fourth finding is that for those  
17          safety questions and Northwest's research programs,  
18          there is reasonable assurance that Northwest will be  
19          able to complete the research programs before the  
20          latest date of construction and, taking into  
21          consideration the site criteria contained in 10 CFR  
22          Part 100, the proposed facility can be constructed and  
23          operated without undue risk to the public.

24           Northwest has stated their latest date of  
25          construction would be December 31, 2022. The staff

1 expects that the Northwest testing programs will be  
2 completed in advance of this date. The additional  
3 permit conditions related to criticality safety must  
4 also be satisfied prior to the completion of  
5 construction.

6 The site criteria in Part 100 only apply  
7 to power reactors and testing facilities and, thus, do  
8 not apply to the proposed Northwest facility.  
9 However, the staff considered similar site-specific  
10 conditions in its review, including meteorology,  
11 geology, and seismology. The staff also evaluated  
12 external events, such as extreme weather, floods, and  
13 aircraft impacts.

14 Northwest intends to design its facility  
15 such that potential doses to workers and the public  
16 from postulated accidents are within the limits of 10  
17 CFR Part 20. Chemical accident consequences would be  
18 mitigated consistent with the performance requirements  
19 of 10 CFR 70.61.

20 Northwest intends to select items relied  
21 on for safety and appropriate management measures  
22 based on the results of its integrated safety analysis  
23 to mitigate potential radioactive and chemical  
24 consequences resulting from accident conditions.  
25 Thus, the staff finds that the proposed facility can

1 be constructed and operated at the proposed location  
2 without undue risk to the health and safety of the  
3 public.

4 Additionally, for the purpose of issuing  
5 the construction permit, the staff conducted an  
6 environmental review sufficient to meet the  
7 requirements of NEPA and to inform the Commission  
8 action on the construction permit request.

9 Next slide, please.

10 Based on these findings, the staff  
11 concludes that there is sufficient information for the  
12 Commission to issue the subject construction permit to  
13 Northwest, as guided by the following considerations  
14 described in 10 CFR 50.40 and 10 CFR 50.50. There is  
15 reasonable assurance that the construction of the  
16 Northwest Facility will not endanger the health and  
17 safety of the public and that construction activities  
18 can be conducted in compliance with the Commission  
19 regulations.

20 Northwest is technically and financially  
21 qualified to engage in the construction of its  
22 proposed facility. The issuance of a permit for the  
23 construction of the facility would not be inimical to  
24 the common defense and security or the health and  
25 safety of the public.

1           After weighing the environmental,  
2           economic, technical, and other benefits of the  
3           facility against environmental and other costs, and  
4           considering reasonable available alternatives, the  
5           issuance of this construction permit subject to the  
6           conditions for protection of the environment set forth  
7           therein is in accordance with Subpart A of 10 CFR Part  
8           51 of the Commission regulations and the application  
9           meets the standards and requirements of the Atomic  
10          Energy Act and the Commission regulations and that  
11          notifications, if any, to other agencies or bodies  
12          have been duly made.

13                Next slide, please.

14                In the panels that follow, the staff will  
15          discuss novel aspects of its review of the Northwest  
16          construction permit application. Safety Panel 1 will  
17          discuss the unique licensing considerations associated  
18          with the co-location of the proposed Northwest  
19          production facility and target fabrication area. This  
20          panel will also cover the implementation of the  
21          Northwest quality assurance program plan and design  
22          change management. The information presented in this  
23          panel is described in greater detail in Chapters 1, 4,  
24          and 12 of the staff's Safety Evaluation Report.

25                Additionally, Safety Panel 1 is also

1 prepared to discussion Chapters 2, 3, 5, and 6 of the  
2 Safety Evaluation Report.

3 Safety Panel 2 will follow this with  
4 details on the accident analysis methodology, as  
5 described in Chapter 13 of the Safety Evaluation  
6 Report. Additionally, Safety Panel 2 is also prepared  
7 to discuss Chapters 7, 8, 9, 11, 14, and 15 of the  
8 Safety Evaluation Report.

9 Finally, the Environmental Panel will  
10 provide a summary of the staff determination to  
11 prepare an EIS for this application, the scope of the  
12 EIS and connected actions, and the analysis of  
13 alternatives.

14 This concludes the staff overview panel  
15 and we are prepared to respond to any questions you  
16 may have at this time.

17 CHAIRMAN SVINICKI: Thank you to the NRC  
18 staff Overview Panel for that presentation.

19 We begin the questions this go around with  
20 Commissioner Baran. Please proceed.

21 COMMISSIONER BARAN: Thanks. Thank you  
22 for your presentations.

23 We heard from both of the overview panels  
24 that the Northwest Medical Isotopes building is  
25 designed to have two portions, the production

1 facility, which would be regulated under Part 50, and  
2 the target fabrication area, which would be regulated  
3 under Part 70.

4 My understanding is that the construction  
5 permit would only authorize construction of the  
6 production facility portion of the building. Is that  
7 right?

8 MS. ROSS-LEE: That is correct.

9 COMMISSIONER BARAN: There appear to be  
10 two separate provisions in Part 70 that require the  
11 applicant to have a Part 70 license before commencing  
12 construction of the Part 70 portion of the facility.  
13 And as M.J. mentioned, Northwest applied for an  
14 exemption from one of those two provisions in  
15 December.

16 If Northwest receives a construction  
17 permit and the exemption is also granted, would  
18 Northwest then be authorized to construct the Part 70  
19 portion of the facility?

20 MR. B. SMITH: Yes, sir.

21 COMMISSIONER BARAN: Okay and so there is  
22 no other affirmative authorization they would need to  
23 commence construction of the Part 70 portion?

24 MR. B. SMITH: Not that I'm aware of, sir.

25 COMMISSIONER BARAN: Okay. And has the



1 staff previously granted an exemption to those Part 70  
2 requirements in other cases? Is this something that's  
3 happened before or is this something new?

4 MR. B. SMITH: I was told this morning  
5 that the staff checked and they cannot find that any  
6 similar exemption had been granted.

7 COMMISSIONER BARAN: Okay. And is that  
8 really just a result of this being the first time we  
9 had kind of one building with a Part 50 and a Part 70  
10 portion?

11 MS. EVANS: I am going to look to staff  
12 for that. I believe that that is the unique  
13 characteristic of this particular facility but I would  
14 like them to confirm that.

15 CHAIRMAN SVINICKI: There is some  
16 discussion going on off to the side. So, again,  
17 please if you come to the podium, would you please  
18 introduce yourself, give your affiliation, and then  
19 respond? Thank you.

20 MR. LYNCH: Yes --

21 CHAIRMAN SVINICKI: Oh, and I'm sorry,  
22 have you been sworn?

23 MR. LYNCH: Yes, I have been sworn in.

24 CHAIRMAN SVINICKI: Okay, thank you.

25 MR. LYNCH: My name is Steven Lynch and I

1 work in the Office Nuclear Reactor Regulation here at  
2 the NRC.

3 To answer your question, it is correct to  
4 characterize that the reason we have not had a similar  
5 exemption request to the one that Northwest submitted  
6 is due to the uniqueness of the considerations and the  
7 interactions between Part 50 and Part 70 for this  
8 application and facility.

9 COMMISSIONER BARAN: Okay, great. Thank  
10 you.

11 During the review of the construction  
12 permit application, the staff identified commitments  
13 for the final facility design that would apply to both  
14 the Part 50 and Part 70 portions of the facility.  
15 Some examples are fire suppression systems,  
16 ventilation systems, and chemical hazard accident  
17 scenarios.

18 At what point in the process does the  
19 staff anticipate being able to determine that these  
20 commitments have been met?

21 MS. ROSS-LEE: The commitments would be  
22 verified during the review of the Final Safety  
23 Analysis Report.

24 We would, as part of their construction  
25 inspection program, we would be able to look at the

1 commitments that they have made and ensure that they  
2 are being taken. But the final verification would  
3 come with the operating license.

4 COMMISSIONER BARAN: Okay. And can you  
5 just talk for a minute, just so we kind of understand  
6 the sequencing here? So if a Part 70 application is  
7 submitted, that's going to be considered kind of at  
8 the same time as the operating license review or how  
9 does that fit together so that for the pieces that  
10 affect both the Part 50 and the Part 70 portions of  
11 the building, that's getting analyzed?

12 MR. B. SMITH: From what we have been  
13 told, is that they plan to submit a consolidated  
14 license application for both the Part 50 facility and  
15 the Part 70 facility and also address Part 30  
16 requirements as well.

17 COMMISSIONER BARAN: Thank you. That's  
18 all I have. Thanks.

19 CHAIRMAN SVINICKI: Thank you very much.  
20 Commissioner Burns.

21 COMMISSIONER BURNS: I'm going to follow-  
22 up on that. Does the staff anticipate, if we get to  
23 this stage, issuing a single license that covers Part  
24 50, 70, 30 as it does with respect to power reactors?

25 MR. B. SMITH: Yes. The reason why I

hesitate there is my history is Part 70 licensing primarily, uranium-enrichment plant licensing, where we issue a single license that cover Parts 30, 40, and 70.

CHAIRMAN SVINICKI: Okay and I note that the NRC counsel might be helping you out here with a lifeline. So, would you please introduce yourself for the record and respond?

MR. BALAZIK: Hi, this is Mike Balazik. I have been sworn in and I'm a project manager at NRR.

The regulations allow you to combine applications and also combine licenses. So I think that would be a determination that Northwest would need to make but it is allowed by the regulations.

COMMISSIONER BURNS: Well, I would also think that the staff would make some judgment on that. But that's just an aside.

Let me go back. I just want to make sure I understand. What is this exemption for and why are we pursuing it as an exemption? Why is that not, in effect, a Part 70 licensing action itself?

Why put it in the guise of an exemption, other than maybe our regulations?

MR. B. SMITH: Well --

COMMISSIONER BURNS: Actually, let me go

1 through it. My first question is what is the purpose  
2 of the exemption that they've applied for.

3 MR. B. SMITH: The purpose of the  
4 exemption is to allow them to be able to start  
5 construction before receiving a license issued in  
6 accordance with Part 70.

7 COMMISSIONER BURNS: Which they would,  
8 otherwise, not need.

9 MR. B. SMITH: I'm not sure I follow.

10 COMMISSIONER BURNS: Well, they could  
11 disturb the land, they could start building, they  
12 could do any number of things until you got to the  
13 Part 70 licensing.

14 So, again, the exemption is focused on for  
15 what purpose?

16 CHAIRMAN SVINICKI: Okay, this is an  
17 interesting topic area. We have another presenter at  
18 the podium. Please introduce yourself and your  
19 affiliation and whether or not you've been sworn in.

20 MR. TIKTINSKY: Yes, my name is David  
21 Tiktinsky. I've been sworn in and I work for NMSS.

22 So the purpose of the exemption as it was  
23 issued was to request an exemption from 70.17. So  
24 that is the requirement to submit an application with  
25 environmental report and wait a period of nine months

1 for the staff to evaluate that environmental report  
2 prior to its ability to begin construction.

3 So that part of it. And then there is the  
4 other part of the finding of 70.23(a)(7) is where the  
5 Director of the Office of Nuclear Material Safety and  
6 Safeguard needs to make an evaluation of the  
7 environmental considerations and provide that  
8 evaluation to an applicant prior to the commencement  
9 of construction. And in that portion of the  
10 regulation, it says that if construction begins prior  
11 to that notification, then they would be subject to  
12 denial of the license.

13 COMMISSIONER BURNS: Okay. So in this  
14 circumstance, let me make sure I understand perhaps  
15 the fine points, we're not actually being asked to  
16 determine the Part 70 -- in fact the circumstances you  
17 described, that we're not being asked to decide that.  
18 Is that -- have I got that correct?

19 All we're deciding is, in effect, a  
20 narrow, if you will, Part 50 determination. And the  
21 piece of it that goes to this blue piece of the  
22 facility on Part 70, that's down the road. And thus,  
23 because that's down the road, by disturbing the land  
24 now, that that somehow would not conform to Part 70.

25 Have I got this correct?

1 MR. BALAZIK: So, the application that we  
2 have received is for a production facility under Part  
3 50. We have not received an application for a target  
4 fabrication facility under Part 70 but Northwest has  
5 indicated that they want to begin construction of that  
6 Part 70 facility, which is co-located within the same  
7 building as the production facility.

8 So their request for an exemption -- and  
9 I mistakenly spoke -- it's 70.21(f) not 70.17 is the  
10 request for exemption. So 70.21(f) is what they've  
11 requested an exemption for, is purely to allow them to  
12 begin construction of both pieces of the facility at  
13 the same time.

14 COMMISSIONER BURNS: Okay. And when does  
15 the staff expect to -- maybe I misunderstood. The  
16 staff has not determined as yet its position or view  
17 on this exemption or has it?

18 MR. BALAZIK: The staff is performing an  
19 acceptance review of the exemption right now, as we  
20 speak.

21 COMMISSIONER BURNS: Are we expected to --  
22 how does that staff decision affect what the  
23 Commission is being asked to decide here today, or  
24 does it?

25 MR. BALAZIK: It's a totally separate

1 point from the construction permit application.

2 MS. ROSS-LEE: I would -- yes, the action  
3 before the Commission is for the Part 50 construction  
4 permit. We are not asking, at this point, for  
5 Commission consideration of the exemption under Part  
6 70.

7 COMMISSIONER BURNS: Okay and the  
8 environmental review that's been done, the scope of  
9 that environmental review is only with respect to the  
10 Part 50 part of the facility or haven't -- go ahead,  
11 Mr. Donoghue.

12 MR. DONOGHUE: Now the scope of the  
13 environmental review included the operation and  
14 decommissioning of the facility, including the Part 70  
15 aspects.

16 COMMISSIONER BURNS: Okay. All right, I  
17 may have some follow-up questions after this why we  
18 are down this path but that will do it for now.

19 CHAIRMAN SVINICKI: Okay. And again,  
20 after I ask my questions, I will turn to you if you  
21 have formulated another. You're tossing it over to me  
22 and I do wish I had a moment myself to contemplate  
23 those responses to formulate my questions.

24 But I'm tempted to ask a follow-on  
25 question. I'm not sure if it's going to be helpful.



1           If the exemption were never approved,  
2           again, would it allow them to construct basically the  
3           shell of -- we're calling it the Part 70 facility but  
4           it is I think the area of the building within which  
5           they would conduct the Part 70 licensed activities if  
6           we subsequently licensed them.

7           So it's not waiving the need for a  
8           license. Again, the last witness who came to the  
9           podium clarified that this is a narrow -- a request  
10          for relief on a narrow set of Part 70 requirements,  
11          which is that you have to submit something nine months  
12          in advance of disturbing the land and allow the staff  
13          to contemplate that and the director of the NMSS to  
14          make some sort of determination. So it is fairly  
15          narrow what they're asking.

16          But if NRC never approved that exemption,  
17          would that mean that they could not disturb the land  
18          or construct the foundation or the shell, or that they  
19          could do so but they would do so at risk of two things  
20          -- at risk of those activities and at risk of denial  
21          of the Part 70 license?

22                 MR. B. SMITH: You are correct, they are  
23                 doing it at risk.

24                 CHAIRMAN SVINICKI: Okay. All right,  
25                 thank you.

1           Just on a more general topic of the  
2           proposed license or permit conditions and then the  
3           regulatory commitments that were developed along the  
4           way. It's a fairly broad set and to me it's akin to  
5           something -- I don't know if it is a real thing or  
6           just a concept -- but it's called muscle memory. And  
7           for athletes and performing artists it means that if  
8           you do something repetitively, you have a good  
9           instinct for how to navigate it.

10           Two-step licensing is something that NRC  
11           has been more focused on one-step licensing in the new  
12           reactor area under Part 50 -- 52. So I think for Part  
13           50, in some ways our predecessors who had to navigate  
14           the level of detail and review for the construction  
15           permit versus the level of detail and review for the  
16           operating license, I think that organizations may be  
17           this is something that we don't do as routinely. So  
18           it is something that the staff had to navigate for  
19           this application for SHINE and maybe for Watts Bar,  
20           too, to a certain degree as well, which was also two-  
21           step licensing in the last ten-year history of the  
22           agency.

23           But I think the staff has, again,  
24           attempted to navigate that while also leaving for the  
25           operating license phase of the review those things

1 that are going to be associated with greater design  
2 detail, with greater process throughput sheets, and  
3 other things that the staff, at the time of the  
4 operating license review will have access to that they  
5 don't have access to now.

6 That being said, there is a long list, not  
7 so much of the conditions that are proposed, but maybe  
8 of the regulatory commitments. I think that both the  
9 applicant panel and you, by my colleagues, have been  
10 asked somewhat of how we're going to track and  
11 maintain cognizance of those commitments. Does the  
12 staff want to talk --

13 Well, also let me note that in the course  
14 of leading up to the mandatory hearing based on the  
15 Commission's prehearing questions, the staff has  
16 determined that one of the things that might have been  
17 a regulatory commitment would perhaps become a permit  
18 condition.

19 So could someone on the staff panel  
20 describe how it is that you navigated the difference  
21 between the proposed conditions to the permit versus  
22 what I'll term a kind of softer set of regulatory  
23 commitments that go over a longer span of time? And  
24 I think you responded to Commissioner Baran that those  
25 are things with the FSAR that would be addressed that

1 is kind of the furthest out point at which those  
2 should all be met.

3 But does anyone want to talk about  
4 navigating that process? And then of course, if the  
5 applicant had asked for specific approval of like  
6 systems, structures, and components, you would have  
7 had to kind of front load some of the safety  
8 determinations but they didn't, to my knowledge,  
9 request that that be done in any case.

10 It's looking like maybe Brian or Mary Jane  
11 want to respond to that.

12 MR. B. SMITH: You are correct on that  
13 last statement about asking for specific safety  
14 approvals of certain aspects of the facility. They  
15 did not do that with this construction permit  
16 application.

17 MS. ROSS-LEE: I'll answer the high level  
18 but then I may ask for staff to give some more  
19 detailed and specifics.

20 But when the staff was making the  
21 determinations, they were looking at the existing  
22 guidance that we had in place, the combination of the  
23 NUREGs and the ISGs, trying to figure out what exactly  
24 is information that we need to have for assurance for  
25 the construction permit stage. And then that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information which can reasonably be left for the  
2 operator license or the final safety analysis part  
3 review conditions, for instance like as I mentioned  
4 with the criticality, those things, for instance, that  
5 are critical to actual construction, for instance, the  
6 shielding thickness, if that isn't looked at prior to  
7 the actual operating license issuance, that would be  
8 something that we wouldn't or would be challenging to  
9 go back in, at that point in time, and actually make  
10 a change for it.

11 So, that was one of the considerations for  
12 why that should be a condition versus some of the  
13 commitments, which are things that can be looked at as  
14 it is being constructed, things that can be looked at  
15 perhaps through the construction inspection program,  
16 and then things that can be verified through the  
17 actual issuance of the operator license and review in  
18 the Final Safety Analysis Report.

19 But I will ask if the project manager or  
20 the staff has any additional information.

21 CHAIRMAN SVINICKI: It looks like they  
22 feel you have covered it. And again, I was just  
23 asking at a relatively high level. It does sound like  
24 the staff brought some discernment to this.

25 Again, there are any number of issues --

1 I am confident the staff identified any number of  
2 areas of technical inquiry in the review of the  
3 construction permit application that need favorable  
4 resolution in order for an operating license to be  
5 granted.

6 I think the more nuanced element that the  
7 staff is to address is some of those can -- the  
8 applicant can proceed at risk in certain areas. We  
9 don't want to have a burdensome or overwhelming set of  
10 conditions and regulatory commitments that are really  
11 meant to secure the success of the operating license.  
12 Some of that responsibility for submitting a  
13 successful operating license application has to reside  
14 with the applicant. And as the regulator, what we  
15 need to be careful to do is not to pre-involve  
16 ourselves into design judgments and other things that  
17 the applicant will be making, in order to secure their  
18 success for them.

19 So I'm not in any way assessing that the  
20 staff ventured into that territory here but the issues  
21 here need to have a nexus to the action in front of  
22 us, which is the issuance of the construction permit.

23 Does the staff ascertain that the permit  
24 conditions -- my understanding is they need to be no  
25 more than ministerial in nature. Is it the staff's

1 view that the conditions for the permit that have been  
2 proposed are ministerial in nature?

3 MS. ROSS-LEE: Yes.

4 CHAIRMAN SVINICKI: And then the set of  
5 regulatory commitments, by my review, some of them had  
6 their origins in the engagements in front of the  
7 Advisory Committee on Reactor Safeguards.  
8 Nonetheless, the staff is the regulatory expert here.  
9 Does the staff in all instances endorse that set of  
10 regulatory commitments, whether or not they were  
11 initially identified by the Advisory Committee on  
12 Reactor Safeguards, which is not a licensing entity?

13 MS. ROSS-LEE: Yes, the staff does.

14 CHAIRMAN SVINICKI: Okay, thank you very  
15 much.

16 Do either of my colleagues, based on their  
17 earlier questions for the Overview Panel have follow-  
18 up questions for the Overview Panel?

19 COMMISSIONER BURNS: Not now.

20 CHAIRMAN SVINICKI: Okay. Okay, with  
21 that, we will now treat ourselves to the opportunity  
22 to stretch our legs and take a short break, while we  
23 set up for the first of the Safety Panels.

24 I am going to state that we will reconvene  
25 at eleven o'clock because I think -- I'm of a personal

1 view the first break is always one where you really  
2 need it. So we will reconvene in ten minutes.

3 Thank you.

4 (Whereupon, the above-entitled matter went  
5 off the record at 10:51 a.m. and resumed at 11:06  
6 a.m.)

7 CHAIRMAN SVINICKI: Okay, I call the  
8 hearing back to order. Thank you all for returning to  
9 your seats so promptly.

10 This is the first safety panel  
11 presentation. The parties will address relevant  
12 sections of the application and two chapters, in  
13 particular, from the Safety Evaluation Report,  
14 Chapters 1 and 4, including a discussion of the unique  
15 licensing considerations for the proposed radioisotope  
16 production facility which are, one, co-location of the  
17 production facility and the target fabrication area  
18 and, two, implementation of the quality assurance  
19 program.

20 And again, this is the first of the  
21 combined panels we have for the remainder of the  
22 hearing. And "by combined," I mean that we will hear  
23 from both the Applicant and the NRC staff and, then,  
24 we will follow that with the Commission's questions  
25 and answers.



1           So, for this Safety Panel 1, we begin with  
2 Northwest Medical Isotopes. Please proceed and, prior  
3 to presenting, please be sure to identify yourself.  
4 Thank you.

5           MS. HAASS: Hello. I'm Carolyn Haass with  
6 Northwest Medical Isotopes.

7           And can you please go to page 2?

8           On page 2, what you're seeing is an  
9 overview of our facility. I think you recognize the  
10 difference between the Part 50 and 70 portions of the  
11 facility. But, if you look at the Part 50 portion of  
12 the facility, the gray area, what we've done is we've  
13 outlined the areas that will be the waste management  
14 area for us, where we bring in the irradiated targets  
15 from the university reactors -- it's the unloading  
16 bay -- as well as the tank hot cell.

17           And if you go just below the tank hot cell  
18 and to the left, you will see where our processing hot  
19 cells will be for the disassembly, dissolution, and  
20 moly recovery and purification. And just below that  
21 you'll see our utility area and laboratory area.

22           Page 3, please.

23           MR. REESE: All right. So, at page 3, I  
24 want to begin a discussion on structures, systems, and  
25 components, our SSCs. So, design of the facilities

1 based upon applicable standards, guidance, code, and  
2 criteria, such that reasonable assurance can be  
3 provided that the structures, systems, and components,  
4 SSCs, will perform as intended. So, we have to inform  
5 our discussion of the SSCs as they relate to Chapter  
6 13 as it relates to accidents and, also, normal  
7 operations for protection of public safety and the  
8 health environment and, also, occupational safety,  
9 too, as well.

10 And we recognize that certain components  
11 in this facility, certain SSCs, will be important to  
12 safety. What we have tried to do is design these  
13 things nor recognize them ahead of time, such that we  
14 can pay particular attention to them through the  
15 design phase and the construction phase.

16 As such, we need to define some terms.  
17 So, if I could ask you to go to slide 4? Slide 4, we  
18 talk about the definition of how we define safety-  
19 related. Essentially, it has to be integral. It's  
20 the classification of applied items relied on to  
21 maintain function during or following postulated  
22 design basis events. So, we basically want these  
23 components to work during an accident and to maintain  
24 a safe shutdown condition. As such, we have to be  
25 cognizant of both the design requirements for

1 accidents under 7061 space and, also, normal operating  
2 parameters under, ostensibly, 10 CFR 20.

3 So, moving on to below on slide 4, you'll  
4 that we've defined four safety systems and components.  
5 Those safety-related items relied on for safety are  
6 those that we want to defend against 7061. Safety-  
7 related non-IROFS are those that meet 10 CFR 20, and  
8 non-safety-related is basically anything else.

9 What we've done is we've crosswalked that,  
10 if we go to slide 5, with the Quality Level 1  
11 associated with the IROFS, Quality Level 2 associated  
12 with 10 CFR 20, and Quality Level 3 associated with  
13 the balance.

14 With that, I'll turn it over to Gary.

15 MR. DUNFORD: Good morning. I'm Gary  
16 Dunford with Northwest Medical Isotopes, and I'm going  
17 to quickly run us through slides 6 and 7.

18 So, slide 6, please.

19 Consistent with what Steve just talked  
20 about in Chapter 3, following our quality level  
21 discussion is a discussion on seismic, and we have  
22 three classifications, Seismic Category I, II, and,  
23 then, non-category.

24 So, the facility right now, we've  
25 benchmarked the facility seismic evaluation to a .2g

1 ground motion and, then, we'll use Reg Guide 1.60  
2 Spectra in the analysis.

3 Category I, Seismic Category I is a piece  
4 of equipment that is part of the analysis we say has  
5 to both have integrity and still perform its function.  
6 So, the IROFS that we'll talk about in the next slide  
7 will identify those systems that have that  
8 particularly unique integrity and function. Category  
9 II is it needs to maintain its integrity, so it  
10 doesn't fall, on a Category I, or from a personal  
11 injury type of perspective. And then, the non-seismic  
12 would be the NC or NS, the last category.

13 So, the next slide is really our table  
14 listing our major systems and structures in the  
15 facility. So, that's the first column, the system  
16 codes. It goes over to the main processing systems  
17 and the support systems and the various safety systems  
18 are, actually, in there, too.

19 The next column is the highest  
20 classification. So, if it says IROF, that means some  
21 portion of that system has been classified as an IROF.  
22 And then, if you go to the seismic classification,  
23 you're going to find that the IROFS are going to  
24 pretty much relate to Seismic Category I or in a non-  
25 IROF or -- I'm sorry -- a safety-related system, non-

1 IROF would be Category II. There's a couple of small  
2 exceptions to that, and they are just where some  
3 components will get used both in the normal power and  
4 in the standby power, as an example.

5 I guess my time is up.

6 CHAIRMAN SVINICKI: Thank you. Thank you  
7 to Northwest Medical Isotopes for that part of Safety  
8 Panel 1.

9 I would now ask the NRC staff, as they are  
10 doing, to please occupy the spaces behind their name  
11 cards, and when they are prepared, would they begin?  
12 And again, please identify yourself prior to giving  
13 your portion of the presentation.

14 Okay, if you're ready, please proceed.  
15 Thank you.

16 MR. ADAMS: Good morning, Chairman and  
17 Commissioners. My name is Al Adams.

18 This panel will discuss the unique  
19 licensing considerations of the proposed Northwest  
20 production facility. I will discuss the licensing  
21 process and summarize the staff interactions with the  
22 Advisory Committee on Reactor Safeguards, or the ACRS.

23 Michael Balazik, Dave Tiktinsky, and Steve  
24 Lynch are with me at the table today.

25 Can I have slide 3, please?

1           The 10 CFR Part 50 regulations define  
2           three types of production facilities, one of which is  
3           use for the processing of irradiate materials  
4           containing special nuclear materials. Northwest seeks  
5           to construct a Part 50 production facility that would  
6           process irradiated low enriched uranium, or LEU,  
7           targets for the recovery and purification of  
8           molybdenum 99.

9           The construction permit licensing  
10          requirements for the proposed Northwest production  
11          facilities are similar to those for other non-power  
12          facilities licensed under 10 CFR Part 50, such as  
13          research reactors. However, unlike research reactors  
14          licensed to perform research and development  
15          activities under Section 104 of the Atomic Energy Act,  
16          the Northwest production facility would be licensed to  
17          commercially produce medical isotopes under Section  
18          103 of the Atomic Energy Act. As such, the Northwest  
19          construction permit application is also subject to an  
20          independent review by the ACRS and a mandatory  
21          hearing.

22          As we will describe throughout our panels  
23          today, the staff encountered unique licensing  
24          considerations based on the Northwest design maturity,  
25          site selection, and proposed technology.

1 Next slide, please.

2 The staff presented the results of its  
3 Safety Review at four ACRS subcommittee meetings last  
4 summer. As a result of ACRS subcommittee discussions,  
5 the staff performed additional independent analysis of  
6 the issues of aircraft impacts and seismic response to  
7 confirm the adequacy of the Northwest production  
8 facility design basis.

9 To confirm the seismic design of the  
10 proposed Northwest production facility, the staff  
11 developed a general seismic design response spectrum  
12 incorporating site amplification factors of the  
13 proposed site. The staff found that the seismic  
14 response was acceptable for the issuance of a  
15 construction permit because large facility structures,  
16 components, and equipment would not be impacted.

17 However, the staff did identify a  
18 potential high frequency seismic design response that  
19 could impact smaller components, such as electrical  
20 relays, piping, and instrumentation. The staff is  
21 tracking this issue as a regulatory commitment in  
22 Appendix A4 of its Safety Evaluation Report.

23 The staff also performed a confirmatory  
24 analysis of the Northwest aircraft impact frequencies.  
25 The total aircraft impact frequency calculated by the

1 staff was greater than an order of magnitude of 10 to  
2 the minus 7th per year. This is of the same order of  
3 magnitude as that calculated by Northwest.

4 The staff finds that Northwest should  
5 evaluate the impact of a general aviation crash in its  
6 final design. Northwest states in its PSAR that the  
7 general aviation crash will be evaluated in the  
8 operating license application.

9 The staff presented the results of its  
10 review of the Northwest construction permit  
11 application to the ACRS full Committee on November  
12 2nd, 2017. The ACRS recommended the issuance of a  
13 construction permit in its letter dated November 6th,  
14 2017, which is contained in Appendix D of the staff's  
15 Safety Evaluation Report.

16 Next slide, please.

17 Michael Balazik will now discuss the  
18 licensing considerations unique to the Northwest  
19 production facility.

20 MR. BALAZIK: Thank you, Al.

21 My name is Michael Balazik.

22 Northwest proposes to irradiate low  
23 enriched uranium targets at existing U.S. research  
24 reactors. After irradiation, the targets would be  
25 transported back to the Northwest facility. Northwest



1 would, then, process these irradiated targets and  
2 separate the molybdenum 99 from other fission products  
3 in a portion of the proposed facility.

4 Because Northwest is proposing to process  
5 irradiated special nuclear material in batch sizes of  
6 greater than 100 grams of uranium 236, this portion of  
7 the facility meets the definition of a production  
8 facility as defined in 10 CFR 50.2.

9 The proposed production facility would use  
10 several physical and chemical processes that are  
11 similar to those performed at fuel cycle facilities.  
12 These processes include dissolvers, ion exchangers,  
13 and concentrators.

14 To support its review, the staff used the  
15 guidance in NUREG-1537, also the Interim Staff  
16 Guidance augmenting NUREG-1537, and NUREG-1520. In  
17 applying this guidance, the staff used its technical  
18 judgment to determine the extent to which the guidance  
19 was relevant to the review of the Northwest  
20 construction permit application, because much of the  
21 guidance was originally developed for completed  
22 facility designs.

23 Next slide, please.

24 A unique licensing aspect of this review  
25 is that the 10 CFR Part 50 construction permit

1 application describes a single facility where  
2 processes subject to different regulatory regimes will  
3 occur. One process consists of disassembly and  
4 dissolution of irradiated targets, molybdenum 99  
5 recovery and purification, uranium recovery and  
6 recycle, and waste management. This process  
7 constitutes the production facility for which  
8 Northwest has requested a construction permit and  
9 which is subject to the licensing requirements of  
10 10 CFR Part 50.

11 The construction permit application also  
12 describes the target fabrication process. This  
13 process consists of fabricating low enriched uranium  
14 targets containing unirradiated uranium, uranium from  
15 previously irradiated targets, and potentially uranium  
16 scrap from off-spec targets.

17 Although the construction permit  
18 application discusses this process, the Northwest  
19 application states that Northwest plans to submit a  
20 10 CFR Part 70 application for these activities.  
21 Northwest has also stated that it will submit its Part  
22 70 application with its Part 50 operating license  
23 application, and will request that the NRC issue a  
24 single license for the entire facility, which is  
25 permissible under NRC regulations.

1                   The staff only considered target  
2                   fabrication to understand the interface between the  
3                   two processes and the impact on the production  
4                   facility.

5                   Next slide, please.

6                   David Tiktinsky will now discuss the  
7                   interface between the production facility and target  
8                   fabrication area in more detail, and he will also  
9                   identify the proposed permit conditions.

10                  MR. TIKTINSKY: Thank you, Michael.

11                  My name is David Tiktinsky. I'm with the  
12                  Office of Nuclear Material Safety and Safeguards.

13                  While the Northwest application described  
14                  both production facility and target fabrication  
15                  activities, Northwest only requested a construction  
16                  permit for a Part 50 production facility. The staff  
17                  reviewed the entire application, including the  
18                  Northwest descriptions related to Part 70 activities  
19                  associated with target fabrication. However, the  
20                  staff review was to determine whether Northwest  
21                  satisfies the requirements for the potential issuance  
22                  of a construction permit for a Part 50 production  
23                  facility.

24                  As part of this review, the staff focused  
25                  on the interface between the production facility and

1 target fabrication processes as well as the impact of  
2 target fabrication processes on the production  
3 facility. Any systems or components that are shared  
4 between the two processes were evaluated to support  
5 the conclusions of the staff regarding the issuance of  
6 a construction permit for the Part 50 production  
7 facility only.

8 A Part 50 construction permit, if issued,  
9 would only authorize Northwest to construct the  
10 production facility portion of its facility. The  
11 separate requirements of Part 70 would govern the  
12 target fabrication portion of the facility.

13 Next slide, please.

14 Provided that the requirements for the  
15 issuance of a construction permit are satisfied, the  
16 regulations in 10 CFR Part 50 generally allow the  
17 design to mature from a preliminary to a final design  
18 without requiring specific NRC approval. Pursuant to  
19 10 CFR 50.35, the construction permit does not  
20 constitute the NRC approval of the safety of any  
21 design feature unless the applicant specifically makes  
22 this request. Instead, the approval of the safety  
23 design features is made during a staff review of the  
24 final design submitted in the operating license  
25 application.

1           The staff determined that permit  
2 conditions were necessary regarding criticality  
3 safety, quality assurance, and site characteristics in  
4 order to confirm adequate design basis and ensure  
5 quality.

6           Next slide, please.

7           The staff recommends the inclusion of a  
8 construction permit condition associated with the  
9 criticality accident alarm system because of the  
10 concern that shielding could interfere with the  
11 ability of the criticality accident alarm system to  
12 detect an inadvertent criticality and because the  
13 Northwest evaluation of the criticality accident alarm  
14 system coverage has not been completed.

15          The staff also recommends a permit  
16 condition on the subcritical limit to confirm that the  
17 Northwest will integrate the revised subcritical limit  
18 in the criticality calculations and design analysis of  
19 the facility for its final design, because it is  
20 possible that some of the Northwest criticality  
21 calculations and design analysis will need to redone  
22 to incorporate the revised subcritical limit.

23          Based on the Northwest use of conservative  
24 modeling practices and its conservative validation  
25 methodology, the staff has reasonable assurance that

1 it's margin of subcriticality is acceptable to ensure  
2 subcriticality of the proposed production facility  
3 under normal and credible abnormal conditions. These  
4 proposed permit conditions are confirmatory and  
5 administerial in nature because they are intended to  
6 confirm that Northwest considers certain information  
7 as it develops and implements its final design, and  
8 because their satisfaction is accomplished by the  
9 submission of periodic reports. A safety review of  
10 the adequacy of the information will await the review  
11 of an operating license application.

12 Next slide, please.

13 Steven Lynch will now discuss additional  
14 proposed permit conditions on quality assurance and  
15 site-specific geotechnical investigations.

16 MR. LYNCH: Thank you, David.

17 Good morning, Chairman and Commissioners.

18 Again, my name is Steven Lynch with the  
19 Office of Nuclear Reactor Regulation.

20 In order to provide reasonable assurance  
21 that the regulatory requirements and licensee  
22 commitments for quality assurance are adequately  
23 implemented during construction, the staff recommends  
24 that the Northwest construction permit include a  
25 quality assurance condition similar to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirements of 10 CFR 50.55(f), which apply to  
2 nuclear power plant and fuel reprocessing plant  
3 construction permit-holders.

4 The proposed condition would require  
5 Northwest to implement its quality assurance program  
6 plan, or QAPP, as described in its PSAR and would  
7 support the adequate implementation of licensee  
8 commitments in design, procurement, and construction.

9 Specifically, the inclusion of this permit  
10 condition would, one, ensure that Northwest implements  
11 its QAPP; two, provide for consistency and maintenance  
12 of documentation; three, establish criteria for  
13 notifying the NRC of changes to the QAPP, and, four,  
14 require correction of deficiencies in the  
15 implementation of the QAPP.

16 Next slide, please.

17 Based on the staff review of the Northwest  
18 Description and Safety Assessment of the Discovery  
19 Ridge site, the staff determined that Northwest had  
20 satisfied the requirements of 10 CFR 50.34(a)(1)(i),  
21 and that the design basis of the facility described in  
22 Chapter 3 of PSAR satisfied the requirements of  
23 10 CFR 50.34(a)(3).

24 However, in light of the potential for  
25 unidentified sinkholes, undesirable soil

1 characteristics, and liquefaction, Northwest has  
2 committed to performing a site-specific geotechnical  
3 investigation. Based on the issues raised by the  
4 Commission in pre-hearing questions, the staff has  
5 reconsidered its decision to track the results of the  
6 investigation via regulatory commitments.

7 Since a site-specific investigation could  
8 reveal geological features impacting the design basis  
9 of the facility, the staff recommends that the  
10 Northwest construction permit be conditioned to  
11 require that, prior to the beginning of construction,  
12 Northwest complete and submit the results of the  
13 geotechnical investigation. The results of the  
14 investigation would inform Northwest design  
15 activities, would inform the staff construction  
16 inspection program, and would confirm the adequacy of  
17 the Northwest production facility design basis,  
18 including any design changes made in accordance with  
19 the Northwest QAPP.

20 This concludes Safety Panel 1  
21 presentation. We are prepared to respond to any  
22 questions that you may have at this time.

23 CHAIRMAN SVINICKI: Thank you very much to  
24 all the presenters.

25 We'll begin the question-and-answer period



1 this time with Commissioner Burns. Please proceed.

2 COMMISSIONER BURNS: Thank you, Chairman.

3 If we could, could we put up the diagram  
4 of the facility? I think in the Northwest  
5 presentation for this panel, put their slide No. 2 up.  
6 It's the radioisotope production facility.

7 Next. There. Keep it there. Thank you.

8 I will turn a couple of questions here.  
9 So, just to make sure I'm clear about this, in some of  
10 the discussion we've been having, you know, Part 50  
11 versus Part 70, and also understanding the facility  
12 itself, this diagram shows sort of an architectural  
13 rendering from a bird's eye view of what the facility  
14 looks like. Now that, is that one building?

15 MS. HAASS: That is correct, that is one  
16 building.

17 COMMISSIONER BURNS: That is one building.  
18 Obviously, because some of the issues are what's being  
19 handled where or differently.

20 So, in terms of the evaluation, in terms  
21 of what the staff has done to date, the staff's  
22 evaluation focuses on the gray area? Is that --

23 MR. REESE: That is correct, sir.

24 COMMISSIONER BURNS: Okay. But how do you  
25 integrate the rest, the blue area, the Part 70 area

1 into your evaluation as to whether or not the building  
2 itself or the proposed construction was adequate,  
3 would be adequate?

4 MR. LYNCH: Sure. So, the staff, in its  
5 review of the construction permit application, did  
6 consider the interface between the target fabrication  
7 area and the 10 CFR Part 50 production facility.  
8 During the construction of the facility, the staff  
9 will inspect those structural elements -- for example,  
10 the point of concrete and shielding -- to ensure the  
11 integrity of those items as they're being constructed  
12 in that interface between the Part 50 and Part 70  
13 areas.

14 COMMISSIONER BURNS: Okay. Are there  
15 particular things -- actually, I'll ask the Applicant  
16 first -- are there particular things in terms of the  
17 interface between the design of the building between  
18 the blue section and the gray section that affected  
19 either side? And I will say either side, the Part 50  
20 side or the anticipated Part 70 side. Are there  
21 particular things that affect it and affect that wall,  
22 I'm going to say, that wall between the two sections  
23 or that integration between the two sections?

24 MR. REESE: So, if you pull up slide 2?

25 COMMISSIONER BURNS: Yes, yes.

1 MR. REESE: So, there's a couple of things  
2 that both sides will share. You obviously have  
3 criticality safety issues on both sides.

4 COMMISSIONER BURNS: Yes.

5 MR. REESE: That's pretty clear.

6 But we are going to transfer clean uranium  
7 material from the Part 50 to the Part 70 side.

8 COMMISSIONER BURNS: Okay.

9 MR. REESE: And so, that's a direct  
10 physical connection and an obvious safety connection  
11 between the two.

12 And other than that, it's mostly on the  
13 other end of the process where we're talking about  
14 waste handling, because those are commingled, the two,  
15 as well.

16 COMMISSIONER BURNS: Okay. All right.  
17 Thanks.

18 Staff, any comment with respect to that?

19 MR. TIKTINSKY: Yes, I guess --

20 COMMISSIONER BURNS: Or unique aspects in  
21 terms of the integration of these two sides, if you  
22 will, of the facility?

23 MR. TIKTINSKY: So, the Applicant provided  
24 a preliminary integrated safety analysis which covered  
25 both parts of the facility. The staff only evaluated

1 the Part 50 part, but what we did look at is the  
2 accidents that were identified in the Part 70 target  
3 fabrication area and any impact they may have on the  
4 10 CFR production facility.

5 COMMISSIONER BURNS: And I take it, then,  
6 your conclusion was that the provisions or the design  
7 and anticipated construction of the Part 50 side was  
8 adequate, given the anticipated design and  
9 architectural features of the Part 70 side?

10 MR. TIKTINSKY: Yes.

11 COMMISSIONER BURNS: Okay. Thank you.

12 One of the questions I have on a different  
13 building relates to the diesel generator building. In  
14 response to pre-hearing Question 11, staff indicates  
15 that the diesel generator is part of the non-safety-  
16 related standby power. Yet, the Applicant committed  
17 to protecting the diesel generator building. And I  
18 guess I'm trying to understand the status of the  
19 staff's review and evaluation of the diesel generator  
20 building, the status of the staff's review of that,  
21 given that it is a non-safety-related structure and,  
22 arguably, does not require NRC approval. So, how is  
23 that integrated into our review?

24 MR. BALAZIK: I would say that the staff  
25 at this point did not look at the structure of the

1 diesel generator building, and that would be something  
2 that we would look at in the operating license review.  
3 But, at this point, we've indicated that it's not  
4 safety-related and we wouldn't necessarily look at the  
5 structure of that building. The only safety-related  
6 part of the standby electrical power is the UPSes  
7 which are not in that building yet.

8 COMMISSIONER BURNS: Okay. All right.  
9 Thank you.

10 We had a discussion -- I appreciated the  
11 discussion -- on the quality assurance program.  
12 Again, as I understand it, because if you look at  
13 Appendix B and 50.55, it applies to power reactors and  
14 other facilities primarily, but here we have a quality  
15 assurance program which is typical.

16 I would take it, then, am I right to  
17 conclude that the quality assurance type of program or  
18 the quality assurance program required for the Part 50  
19 facility, to the extent that we would impose on the  
20 Part 70 portion of the facility, that they would be  
21 compatible?

22 MR. LYNCH: Yes. Our understanding is  
23 that the quality assurance program developed by the  
24 Applicant will be applied to both the Part 50 and Part  
25 70 aspects of the facility.

1 COMMISSIONER BURNS: Okay, and that  
2 doesn't create kind of regulatory disharmonies?

3 MR. LYNCH: No, it does not.

4 COMMISSIONER BURNS: Thank you.

5 And the last question for the Applicant,  
6 could you please briefly describe the pertinent  
7 features of the facility design that will prevent and  
8 mitigate chemical leaks?

9 MR. DUNFORD: This is Gary Dunford.

10 So, put slide 2 back up again, please.

11 In the lower center of the gray area, next  
12 to the outside wall you'll see all the tanks. And  
13 that is our chemical makeup area. So, that's an area  
14 that will have separation of compatible chemicals,  
15 oxidizers, reducers, and it would have dyking and  
16 various aspects like that.

17 There are also parts of the chemical  
18 system that are criticality-based for backflows out of  
19 the vessels and stuff, and those would be inside the  
20 tank area itself, but they would be part of the  
21 system. So, if we went back, actually, to the earlier  
22 slide, it would have said the chemical system had  
23 IROFS, and that's why most of the chemical system is  
24 just safety-related.

25 COMMISSIONER BURNS: Okay.

1 MR. DUNFORD: And it doesn't have IROFS.  
2 But that piece is where we got to the IROFS.

3 COMMISSIONER BURNS: Okay. All right.  
4 Thank you.

5 Thank you, Chairman.

6 CHAIRMAN SVINICKI: Thank you,  
7 Commissioner Burns.

8 I'll proceed with a few questions myself  
9 right now.

10 So, as the NRC staff has presented, it  
11 recommends that the construction permit be conditioned  
12 to require that, prior to the beginning of  
13 construction, Northwest would complete and submit the  
14 results of a geotechnical investigation.

15 So, to Northwest Medical Isotopes, if the  
16 construction permit is granted, when would you  
17 contemplate undertaking that geotechnical survey or  
18 investigation? Or is that something that you have  
19 undertaken for your own purposes or begun to undertake  
20 already?

21 MS. HAASS: Yes. So, we know that we will  
22 be doing some additional geotechnical investigations,  
23 and we are in the process of selecting that  
24 contractor.

25 CHAIRMAN SVINICKI: Okay. So, it's just

1 the planning and preparation has begun, but the actual  
2 investigation itself has not begun yet?

3 MS. HAASS: Correct.

4 CHAIRMAN SVINICKI: Okay. Thank you very  
5 much for that.

6 And for the NRC staff, one of the areas to  
7 be evaluated to make the findings necessary for  
8 issuance of the construction permit are related, one  
9 of the findings is related to the articulation of a  
10 research and development program that will be adequate  
11 to resolve issues that we predict will be identified.  
12 In terms of the staff, the staff has evaluated that  
13 and made an affirmative conclusion about it.

14 Can the staff talk a little bit more,  
15 though, about predicting what will be necessary there,  
16 and not so much validating the areas identified by the  
17 Applicant as needing research and development, but  
18 gaining confidence that other technical areas don't  
19 require R&D? So, anything else that might be a gap  
20 area? How did the staff go about making an  
21 affirmative conclusion that the scope of the R&D would  
22 be adequate?

23 MR. LYNCH: The research and development  
24 program is required to be identified by the Applicant  
25 with 50.34(a)(8). The staff looked at the scope that



1 Northwest initially identified, including at the  
2 University of Missouri Research Reactor and the  
3 Department of Energy. In order to ensure that this  
4 was inclusive, the staff did ask, request for  
5 additional information to see if there were any  
6 additional items that Northwest needed to include in  
7 this program. And Northwest did respond to these  
8 requests for additional information, indicating that  
9 it had certain resin testing that it needed to conduct  
10 as well. So, we ascertained that they were complete  
11 in their identification based on their responses to  
12 requests for additional information.

13 CHAIRMAN SVINICKI: Are there any R&D  
14 areas associated with the subsequent Part 70 submittal  
15 or is that scoped in here? Or is this just a look at  
16 the application before the staff right now?

17 MR. LYNCH: For now, it is just looking at  
18 the application before the staff for Part 50.

19 CHAIRMAN SVINICKI: Okay. Thank you.

20 And can the staff conclude -- it's my  
21 understanding, based on the -- or could the staff  
22 confirm my understanding, based on reviewing the  
23 record, that the staff does not consider the 50.59  
24 criteria to be applicable during construction? Is  
25 that accurate?

1 MR. ADAMS: Yes. Yes, ma'am, that is  
2 accurate.

3 CHAIRMAN SVINICKI: Okay. Thank you.

4 And my colleague, Commissioner Burns,  
5 asked a little bit about the quality assurance program  
6 and its application. But could the staff comment more  
7 generally on how it assured itself of the sufficiency  
8 of the graded approach -- or that's my term; I don't  
9 know if the staff would use that -- the graded  
10 approach to the QA program for this very unique  
11 facility and some of the philosophy that guided the  
12 staff's determination that's what is proposed by the  
13 Applicant will be sufficient?

14 MR. LYNCH: Sure. I can start with a  
15 high-level description, and if you need more details,  
16 we can refer to the technical staff.

17 For the review of this application, the  
18 staff primarily evaluated the Northwest quality  
19 assurance program based on ANSI Standard 15.8, which  
20 was developed for research and test reactors. The  
21 criteria for quality assurance in this ANSI standard  
22 is very similar to what's in Appendix B that would be  
23 applied to nuclear power reactors. However, it has  
24 been modified to be more technology-neutral to apply  
25 to various types of technologies and, also, to account

1 for the fact that smaller facilities, like research  
2 reactors and other non-power facilities, may not be  
3 large corporation and may have smaller staffs. So,  
4 the language has been adapted for these smaller types  
5 of facilities.

6 And the staff has previously applied this  
7 to the SHINE medical isotopes construction permit  
8 application review, and we applied it here and found  
9 that this guidance was sufficient to evaluate the  
10 quality assurance program.

11 CHAIRMAN SVINICKI: So, would the staff  
12 characterize, based on that answer, that the QA  
13 program as proposed here by Northwest is generally  
14 covering the same areas as a full Appendix B program?  
15 It may just be that it's a graded application of those  
16 subject matter areas under Appendix B?

17 MR. LYNCH: Yes, that is a correct  
18 characterization.

19 CHAIRMAN SVINICKI: Okay. Thank you.

20 And those are my questions. We'll turn  
21 now to Commissioner Baran.

22 COMMISSIONER BARAN: Thanks.

23 As we've discussed a little bit on this  
24 panel, the NRC staff proposed a construction permit  
25 conditioned to require the Applicant to complete a

1       characterization of the site's foundation and soil  
2       prior to beginning construction. This is to determine  
3       the potential for sinkholes at the site.

4               I know, Steven, you talked about this a  
5       little bit, but could you just briefly discuss the  
6       thinking behind this new permit condition, as opposed  
7       to it being a commitment?

8               MR. LYNCH: Yes. So, the staff had  
9       initially recommended that the geotechnical  
10       investigation be included as a series of regulatory  
11       commitments because the Applicant had accurately  
12       characterized the site, based on available  
13       information, to meet the requirements of 50.34(a).  
14       However, as part of the staff's reasonable assurance  
15       finding, we were making this finding based on the  
16       assumption that Northwest would complete the  
17       geotechnical investigation prior to the beginning of  
18       construction.

19               And this is consistent with statements  
20       that the Applicant had stated in their application and  
21       before the ACRS. Initially, the staff had anticipated  
22       that this work would be completed in 2017, well before  
23       the completion of the staff's review. Given that  
24       there is more uncertainty as to when this will be  
25       completed, and the Applicant's indication that it

1 would like to begin construction soon after the  
2 issuance of a construction permit, the staff believes  
3 it's appropriate to track this as a condition.

4 COMMISSIONER BARAN: Okay. And let me  
5 just ask the Applicant, what's your view about whether  
6 this permit condition is warranted?

7 MS. HAASS: I am sorry, can you repeat  
8 that?

9 COMMISSIONER BARAN: Just what's your view  
10 about whether this permit condition is warranted, as  
11 opposed to a series of regulatory commitments?

12 MS. HAASS: In our response to that  
13 question, we actually have said that we would like to  
14 see that as a regulatory commitment, not as a permit  
15 condition. We understand the importance of doing this  
16 additional geotechnical work because of the CARSS  
17 formation at the site that could potentially give you  
18 a sinkhole. But we know that -- I mean, we've already  
19 continued on with our design, understanding, you know,  
20 having certain assumptions in there. And we don't  
21 believe that there's that large a risk.

22 COMMISSIONER BARAN: Okay. I understand  
23 this is really kind of a judgment call about which  
24 approaches to use.

25 MS. HAASS: It is.

1 COMMISSIONER BARAN: Would there be any  
2 particular challenges that having a license condition  
3 there would pose for you?

4 MS. HAASS: No, there will not.

5 COMMISSIONER BARAN: Okay. So, it's  
6 really -- and this isn't to minimize it -- it's just  
7 kind of a basic preference for you would rather have  
8 more flexibility rather than less; you would rather  
9 have fewer license conditions than more?

10 MS. HAASS: Correct.

11 COMMISSIONER BARAN: Okay. According to  
12 the Applicant, the scope of the geotechnical  
13 investigation was expected to be finalized this month.  
14 Is the scoping still on track to be completed in  
15 January?

16 MS. HAASS: Yes.

17 COMMISSIONER BARAN: Okay. And at a high  
18 level, what is the geotechnical investigation going to  
19 involve?

20 MR. CORUM: Well, typically, it would  
21 involve -- I'm sorry, I'm Michael Corum with NWMI  
22 -- involve soil borings, compacting testing, and tests  
23 for soil liquefaction capability.

24 COMMISSIONER BARAN: Okay. And going back  
25 to the staff, is that description consistent with what

1       you all have in mind for the geotechnical  
2       investigation?

3               MR. LYNCH: Yes, it is.

4               COMMISSIONER BARAN: Okay. If the  
5       investigation were to reveal the potential for  
6       sinkholes at the site, the Applicant identified two  
7       ways to address the issue. One would be excavating,  
8       then backfilling with structural fill. And the other  
9       would be installing piers for support.

10              How confident is the staff that these two  
11       methods would be sufficient to address any sinkhole  
12       potential discovered by the investigation?

13              MR. LYNCH: Staff believes that the two  
14       alternatives provided by Northwest are reasonable to  
15       address potential, sinkhole potential at the facility.  
16       However, if another design alternative is necessary,  
17       the staff will consider that as it is proposed by  
18       Northwest.

19              COMMISSIONER BARAN: Okay. And does  
20       Northwest have anything to add on that point?

21              MS. HAASS: No.

22              COMMISSIONER BARAN: Okay. Just following  
23       up on this, on the applicability of 50.59, the staff  
24       confirmed it doesn't apply to the construction permit.  
25       Is there a change process, a similar change process,

1 incorporated into the Applicant's quality assurance  
2 program?

3 MR. BALAZIK: Yes, there is.

4 COMMISSIONER BARAN: Okay. But it's  
5 separate from 50.59 and --

6 MR. BALAZIK: It is separate from 50.59.  
7 And what Northwest has done is they have developed  
8 this change process program and have incorporated some  
9 of the criteria of 50.59 in there.

10 COMMISSIONER BARAN: Okay. And that's  
11 consistent with Northwest's understanding?

12 MS. HAASS: Correct. It will be a 50.59-  
13 like process.

14 COMMISSIONER BARAN: Okay, great.

15 The ACRS identified several deficiencies  
16 in the Applicant's aircraft impact analysis. In  
17 response to pre-hearing Question 6, the Applicant  
18 attributed these deficiencies to dated information and  
19 the lack of an adequate peer review. Can the  
20 Applicant just briefly walk us through your corrective  
21 actions on the aircraft analysis?

22 MS. HAASS: Go ahead.

23 MR. CORUM: Okay. We conducted a root-  
24 cause analysis to determine what the problem was. We  
25 feel like we have appropriately dealt with the issue



1 and, to our satisfaction, it will not occur in the  
2 future. And for all future applications of safety  
3 analysis, in particular, for the final design, that  
4 will be done under our QA program at NWMI rather than  
5 at a contractor's.

6 COMMISSIONER BARAN: And has the staff  
7 evaluated these corrective actions, and have you found  
8 them to be adequate?

9 MR. ADAMS: We've reviewed the answer to  
10 the Northwest question, and, yes, we believe the  
11 corrective actions are adequate.

12 COMMISSIONER BARAN: Okay, great. Thank  
13 you.

14 CHAIRMAN SVINICKI: All right. Thank you  
15 very much.

16 To Commissioner Burns, do you have  
17 anything else?

18 COMMISSIONER BURNS: No.

19 CHAIRMAN SVINICKI: Okay. So, I, again,  
20 thank the witnesses for Safety Panel 1.

21 And we will now enter our lunch break  
22 period. We're pretty much right on schedule, which is  
23 a good thing. So, we will reconvene this hearing at  
24 1:15 p.m. and start again at that time.

25 I would ask all witnesses to please be in

1 the room promptly. Thank you.

2 (Whereupon, the above-entitled matter went  
3 off the record at 11:46 p.m. and resumed at 1:17 p.m.)

4 CHAIRMAN SVINICKI: Well, thank you  
5 everyone and good afternoon. I call the hearing to  
6 order once again. We will now proceed with the second  
7 safety panel. And the parties will address sections  
8 of the application and Chapter 13 of the Safety  
9 Evaluation Report regarding the application of 10 CFR  
10 Part 70 methodologies for the analysis of radiological  
11 and chemical exposure accidents. I remind all of the  
12 witnesses that they remain under oath and that the  
13 commission is familiar with your pre-hearing filings.  
14 And as we did with Safety Panel 1, we will begin this  
15 combined panel with the presentation from the  
16 witnesses from Northwest Medical Isotopes. Please  
17 proceed. And once again, prior to presenting please  
18 be sure to introduce yourself or identify yourself.  
19 Thank you.

20 MR. CORUM: Good afternoon Chairman and  
21 commissioners. I am Michael Corum with NWMI and I  
22 will be providing the integrated safety analysis and  
23 criticality safety presentation for them. Slide two,  
24 please. Consistent with the ISG augmenting NUREG  
25 1537, NWMI used the ISA methodology identified in 10

1 CFR 70, subpart H to conduct the safety analysis for  
2 its radioisotope production facility. Additional  
3 guidance from NUREGs 1520 and 1513 was used in the  
4 process to apply radiological and chemical  
5 consequences and likelihood criteria to meet the  
6 performance criteria -- or, requirements in 10 CFR  
7 7961.

8 The ISA concludes with identification of  
9 items relied on for safety and the management measures  
10 to demonstrate adequate safety for the RPF. Slide  
11 three, please. The ISA process begins with a process  
12 hazards analysis that provides a systematic  
13 examination of processes, equipment, structures and  
14 personnel activities by a complete team of safety  
15 analysts and process designers to ensure all hazards  
16 that could result in unacceptable consequences were  
17 identified, adequately evaluated and appropriate  
18 protective measures applied. Slide four, please.

19 Quantitative assessments were developed to  
20 address events and hazards identified in the PHA that  
21 required additional evaluation. Event trees were used  
22 in certain circumstances for quantitative failure  
23 analysis. And in some of these cases the analysis  
24 demonstrated failure frequencies were highly unlikely  
25 and no other analysis was needed to meet the

1 performance criteria. For events with failure  
2 frequencies that were less than highly unlikely and  
3 had adverse consequence, the risk matrix in NUREG 1520  
4 was used to identify unacceptable intermediate and  
5 high consequence events. IROFS were also then  
6 developed to prevent the event or mitigate the  
7 consequence. And management measures were identified  
8 to ensure that the IROFS were -- are reliable and  
9 available to perform the intended function on demand.  
10 Slide five, please.

11 Initiating events for the sequences  
12 identified in the PHA included operator error, loss of  
13 power, external events and critical equipment  
14 malfunctions or failures. And the last bullet on this  
15 slide acknowledges that the ISA is a living document  
16 and will be updated during final design. And the ISA  
17 summary will be submitted as part of the Operating  
18 License Application. Slide six, please.

19 This slide gives an overview of the  
20 documents that make up the NWMI ISA. There's eight  
21 documents that are associated with radiological  
22 events, one document that's completely related to  
23 chemical safety process events and then the ISA  
24 summary is part of the -- is part of the -- the  
25 documentation as well as the process hazards analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 If we could skip to slide eight, please.

2 Criticality analysis is a part of the ISA  
3 process and includes evaluations that are based on  
4 industry standards to satisfy the double-contingency  
5 principle in addition to meeting the performance  
6 criteria in 10 CFR 7061. And criticality is  
7 considered to be a high consequence event for the ISA  
8 purposes and for the purposes of meeting the  
9 performance criteria. The CSE describes the system to  
10 be evaluated, the process and equipment involved in  
11 normal evaluation, criticality acts and the scenarios  
12 documented in the PHA, evaluation of accident and off-  
13 normal scenarios with applications of the double-  
14 contingency principle, identification of controls and  
15 designation of IROFS.

16 For NWMI the facility was divided into 13  
17 process areas that define the system for evaluation  
18 from a criticality safety perspective. CSEs were  
19 supported by calculations performed and documented in  
20 the six analysis reports that are shown at the bottom  
21 right. The calculations were performed using the  
22 Monte Carlo code, MCMP version 6.1 with the ENDF/B -  
23 VII cross-section library. If we could go back to  
24 slide seven, please.

25 Because of the uncertainty involved with

1 the computer code based on stochastic methods like  
2 MCNP a code validation was necessary. To prepare for  
3 the code validation the NWMI process was investigated  
4 to determine the suitable parameters to include in  
5 that validation. Critical experiments were selected  
6 from the International Handbook of Evaluated  
7 Criticality Safety Benchmark Experiments that  
8 adequately represent the uranium enrichment, geometry  
9 moderator reflector and neutron energy for the NWMI  
10 process. The experiments were then modeled using  
11 MCNP. Calculations were completed and the results  
12 analyzed to determine an upper subcritical limit of  
13 0.924 for NWMI. Slide nine, please.

14 This -- the information contained here for  
15 the accident analysis from the ISA is documented in  
16 the NWMI PSAR Chapter 13 and these are some of the  
17 initiating events that are associated with those. I  
18 believe that's the balance of my time.

19 CHAIRMAN SVINICKI: Thank you. I will now  
20 as the NRC staff to occupy the spaces behind their  
21 name cards and proceed with the NRC staff's portion of  
22 Safety Panel 2. Please proceed whenever you're ready.

23 MR. BALAZIK: Slide two, please. Good  
24 morning Chairman, commissioners. My name is Michael  
25 Balazik. This panel will discuss the unique accident

1 analysis considerations of the proposed Northwest  
2 production facility. Next slide, please.

3 10 CFR 50.34 alpha 4 requires that a PSER  
4 assess the risk to the public health and safety from  
5 the proposed facility. The ISG augmenting NUREG 1537  
6 provides that an applicant for a medical radioisotope  
7 production facility may satisfy this requirement in  
8 part by performing an integrated safety analysis, or  
9 otherwise known as an ISA. An ISA involves  
10 identifying potential accident sequences and facility  
11 operations and designing items relied on for safety or  
12 IROFS to either prevent or mitigate their consequences  
13 to an acceptable level.

14 An ISA is typically required for 10 CFR  
15 Part 70, licenses for fuel cycles facilities.  
16 However, the ISG augmenting NUREG 1537 provides that  
17 an ISA may be used for a medical isotope --  
18 radioisotope production facilities because one, part  
19 50 does not contain specific requirements for accident  
20 analysis for medical radioisotope production  
21 facilities, and two, an anticipated radiological and  
22 chemical hazards associated with the processes at  
23 medical and radioisotope facilities are similar to  
24 those associated with fuel cycle facilities.  
25 Specifically the ISG states that the use of ISA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodologies as described in Part 70, the application  
2 of radiological and chemical consequences and  
3 likelihood criteria are contained in the performance  
4 requirements of 10 CFR 70.61, the designation of items  
5 relied on for safety and the establishment of  
6 management measures in an acceptable way of  
7 demonstrating adequate for a medical radioisotope  
8 production facility.

9 In its application Northwest used a Part  
10 70 ISA methodology for its accident analysis --  
11 including the designation of IROFS. Northwest also  
12 stated that it will provide a description of  
13 management measures and operating license application  
14 to demonstrate the availability and reliability of the  
15 IROFS. Using the criteria in 10 CFR 70.61, consistent  
16 with the ISG augmenting NUREG 1537, the staff  
17 evaluated the radiological and chemical consequences  
18 that Northwest developed, and found that the Northwest  
19 ISA methodology was sufficient for the issuance of a  
20 construction permit.

21 In chapter one of its Construction Permit  
22 Application, Northwest stated for both normal releases  
23 and postulated accident releases it intends to meet  
24 the dose standards in 10 CFR 20.1201 and 20.1301.  
25 While these dose standards were not intended to be



1 used to evaluate postulated accident conditions, the  
2 staff finds their use for this purpose to be  
3 conservative and consistent with applicable guidance.  
4 Next slide, please.

5 April Smith will now provide details on  
6 the staff's evaluation of the Northwest's ISA  
7 methodology.

8 MS. A. SMITH: Thank you, Michael. My name  
9 is April Smith. As Michael described, Northwest  
10 performed an ISA of the proposed production facility.  
11 To support the establishment of the design basis and  
12 to identify the major features or components for the  
13 protection of the health and safety of the public, the  
14 ISA methodology includes an accident analysis of the  
15 radiological and chemical hazards of the facility.

16 Northwest submitted the results of the ISA  
17 with its application as an ISA summary. The ISA  
18 summary describes the ISA methodology and the methods  
19 used by Northwest to perform hazard analyses. These  
20 methods included standard industry techniques such as  
21 hazard and operability analyses. The hazard analyses  
22 results facilitate identification of accident  
23 sequences that may require additional assessment via  
24 quantitative risk analysis. The ISA summary also  
25 defines accident sequence likelihood categories,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consequence severity categories and a risk matrix that  
2 combine various likelihood and consequence categories  
3 to determine acceptable and unacceptable scenarios.  
4 The staff determined that these categories and the  
5 risk matrix are consistent with staff guidance for  
6 fuel cycle facilities conducting similar activities as  
7 Northwest.

8 Furthermore, the staff determined that the  
9 use of these hazard and risk analyses methods by  
10 Northwest is consistent with what has been used in  
11 fuel cycle facilities that have prepared ISAs. The  
12 staff evaluated the sufficiency of the ISA methodology  
13 to identify, analyze and determine the consequences of  
14 accident analyses in part by reviewing the processes  
15 conducted inside the production facility. The staff  
16 determined that the use of an ISA methodology by  
17 Northwest is consistent with NUREG 1520 and the ISG  
18 augmenting NUREG 1537 for medical isotope production  
19 facilities. The staff also reviewed accident  
20 sequences related to the loss of confinement, the  
21 mishandling or malfunction of equipment, inadvertent  
22 nuclear criticality, fires, and external events  
23 including natural phenomena and the loss of electrical  
24 power.

25 Additionally, the staff considered

1 postulated accident sequences related to the  
2 activities within the target fabrication area to  
3 determine their potential impact on the Northwest  
4 production facility. Next slide, please. 10 CFR  
5 70.61 describes the requirements to render accident  
6 sequences with high consequences as highly unlikely  
7 and accident sequences with intermediate consequences  
8 as unlikely. In order to conform to the requirements  
9 in 70.61 and the guidances NUREG 1520, Northwest  
10 identified IROFS to either prevent accidents or to  
11 mitigate the consequence of accidents. Northwest also  
12 identified IROFS to prevent inadvertent criticality  
13 and to adhere to the double-contingency principle as  
14 defined in 10 CFR 70.4.

15 Adhering to the double-contingency  
16 principle means that process design should incorporate  
17 sufficient factors of safety to require at least two  
18 unlikely, independent and concurrent changes in  
19 process conditions before criticality accident is  
20 possible. As part of the ISA process, after IROFS are  
21 identified management measures are applied.  
22 Management measures, as Michael described, are quality  
23 assurance elements that assure that IROFS are reliable  
24 and available when needed. The staff found it  
25 reasonable to leave for later consideration the review

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of management measures as part of its review of the  
2 Northwest Operating License Application.

3 The staff concluded that the Northwest ISA  
4 methodology contains the elements that support the  
5 adequate identification of capabilities and features  
6 to prevent or mitigate potential accidents and to  
7 protect the health and safety of the public and  
8 workers. Therefore, it is sufficient for the issuance  
9 of a construction permit. Next slide, please.

10 David Tiktinsky will now provide details  
11 on the staff evaluation of the Northwest radiological  
12 and criticality safety accident evaluation.

13 MR. TIKTINSKY: Thank you, April. My name  
14 is David Tiktinsky in the Office of Nuclear Materials  
15 Safety and Safeguards. The staff reviewed the  
16 Northwest analysis of accidents with radiological and  
17 criticality consequences. This analysis included  
18 events sequences involving liquid spills, sprays and  
19 leaks. Consistent with the ISG augmenting NUREG 1537,  
20 Northwest considered the consequence levels as stated  
21 in the performance requirements of 10 CFR 70.61 for  
22 postulated accidents and the radiological release  
23 limits in 10 CFR Part 20.

24 In its review the staff looked at the  
25 engineered safety features and IROFS proposed by

1 Northwest to prevent or mitigate the impacts of  
2 identified accident sequences. The staff evaluation  
3 of the identified accidents is similar to that  
4 previously done in the staff review of fuel cycle  
5 facility applications, except for the unique aspect of  
6 having to evaluate the radiological impacts of the  
7 separation of fission products. The staff reviewed  
8 the accident sequences identified by Northwest in the  
9 PSAR and determined that Northwest had adequately  
10 identified credible accident sequences with potential  
11 radiological consequences or that could cause an  
12 inadvertent criticality.

13 The staff also found that Northwest had  
14 described a nuclear criticality safety program that  
15 will, if properly implemented, ensure that all  
16 facility processes are subcritical under both normal  
17 and credible abnormal conditions and will comply with  
18 the double-contingency principle. Next slide, please.  
19 James Hammelman will now provide details on the staff  
20 evaluation of the Northwest chemical safety  
21 evaluation.

22 MR. HAMMELMAN: Thank you, David. The  
23 staff reviewed the Northwest process and facility  
24 design as well as the Northwest analysis of chemical  
25 safety-related accidents and assessment of chemical

1 safety controls. The review examined the engineer  
2 safety features that Northwest identified to protect  
3 against the release of licensed material or hazardous  
4 chemicals produced from the processing of licensed  
5 material.

6 In order to estimate the impact of  
7 energetic chemical reactions not analyzed in the  
8 construction permit, the staff conducted an  
9 independent analysis of potential energetic chemical  
10 reactions that could damage equipment and possibly  
11 energy nearby personnel. Based on the staff's  
12 evaluation it is expected that the hot cell walls will  
13 be able to withstand a pressure pulse from potential  
14 reactions of organic ion exchange media. The staff  
15 concluded it was acceptable to defer the review of  
16 Northwest analysis of this hazard until the Operating  
17 License Application.

18 Northwest stated it will perform  
19 additional testing to evaluate the feasibility of a  
20 pressure relief system for mitigating potential  
21 exothermic reactions of ion exchange material.  
22 Additionally, Northwest will evaluate the potential  
23 for the release and thermal decomposition of organic  
24 material used in the ion exchange media for uranium  
25 purification. The results of these additional

1 evaluations will be integrated into the Operating  
2 License Application.

3 The staff determined that Northwest  
4 preliminary facility design, proposed process  
5 operations and engineer safety features can provide  
6 adequate protection to the public from chemical  
7 hazards at the proposed facility. Next slide, please.  
8 Mike Balazik will now provide a summary of the staff's  
9 evaluation.

10 MR. BALAZIK: Thank you, Jim. Based on  
11 the review of the staff, the staff concludes that for  
12 the purposes of issuing a construction permit, there  
13 is reasonable assurance that the ISA methodology  
14 proposed by Northwest is sufficient to identify  
15 accident sequences and items relied on for safety.  
16 The ISA approach also supports a determination that  
17 the facility hazards have been adequately identified  
18 and that the preliminary design -- including the  
19 engineered safety features -- will protect the health  
20 and safety of workers and the public. This concludes  
21 the Safety Panel 2 presentation. We are prepared to  
22 respond to any questions at this time.

23 CHAIRMAN SVINICKI: Well, thank you to the  
24 NRC staff witnesses and to Northwest Medical Isotope  
25 for the Safety Panel 2 presentations. We will begin

1 this round of questions with my questions. Northwest  
2 Medical Isotopes on slide four makes reference to the  
3 translation of the IROFS developed under 10 CFR Part  
4 70 to tech specs under 10 CFR Part 50 and that that  
5 will be developed in the Operating License  
6 Application. Could Northwest at a high level describe  
7 that translation step and how they approach doing  
8 that?

9 MR. REESE: Yes, so this is Steve Reese.  
10 At a high level basically on -- most IROFS will end up  
11 turning into something akin to limiting condition --  
12 limiting -- excuse me -- an LCO in tech spec world.  
13 There will be a couple of -- as an example of a design  
14 criteria listed as stack. So the stack would be not  
15 necessarily an LCO, but it would be a design criteria.  
16 So it's the stack will look like X. So it has to have  
17 a certain height and it has to have a certain  
18 function. But most of the other IROFS will turn into  
19 something akin to an LCO.

20 CHAIRMAN SVINICKI: Okay. Thank you very  
21 much for that. Does the staff have any reaction to  
22 that? Or you just await to see how that's brought  
23 forward in the Operating License Application?

24 MR. BALAZIK: At this point we're just  
25 waiting to see the -- the approach that Northwest uses



1 to convert these items relied on for safety for -- for  
2 technical specifications.

3 CHAIRMAN SVINICKI: Okay. Thank you.  
4 Northwest Medical Isotopes also presented about its  
5 MCNP code validation process that it found to be  
6 analytically necessary. Does it -- the NRC staff have  
7 an assessment of the adequacy of the approach for the  
8 code validation that was taken by Northwest Medical  
9 Isotopes? And is -- the criticality I know the staff  
10 has identified as an area that will get additional and  
11 strong scrutiny in the Operating License Application.  
12 But at this point of the review did the staff find  
13 that the code validation work for MCNP was sufficient?

14 MR. BALAZIK: Yes, the staff did find that  
15 the code validation for MCNP was sufficient. But we  
16 did identify a couple of requests for additional  
17 information associated with that review.

18 CHAIRMAN SVINICKI: Okay, thank you. And  
19 on Northwest Medical Isotopes slide nine they have a  
20 list of accident-initiating external events. It may  
21 be that the list is just illustrative of external  
22 events, but sink holes are not explicitly mentioned  
23 alongside seismic and other external events. Is the  
24 approach to the probability of a sinkhole occurring  
25 some time during the operation of the facility more

1     akin to having done the geotechnical site evaluation,  
2     you eliminate that as a probable external event that  
3     will occur? Does it become so low probability that it  
4     is not one of your accident-initiating external  
5     events? Or is -- was the list merely illustrative?

6             MR. CORUM: No I think we really need the  
7     information from the geotechnical in order to -- to  
8     better evaluate what -- what that needs to be as far  
9     as an analysis space. So.

10            CHAIRMAN SVINICKI: So when you have that,  
11     you would have a better characterization of the  
12     probability of a sinkhole developing and therefore you  
13     would be able to screen that in and out of various  
14     accident scenarios?

15            MR. CORUM: Correct.

16            CHAIRMAN SVINICKI: Okay, thank you for  
17     that. I think those are my questions, so we will  
18     proceed now to Commissioner Baran.

19            COMMISSIONER BARAN: Thank you. I want to  
20     start by following up on pre-hearing question 19 which  
21     asked about redundancy in the emergency electrical  
22     power system. The staff stated that there is not  
23     redundancy in the design of the standby diesel  
24     generator but that there is some redundancy in the  
25     design of the batteries -- or, the uninterruptible

1 power supplies. The Applicant stated that there are  
2 no plans for redundancy in either the diesel generator  
3 or the batteries. So the answers from the staff and  
4 the Applicant didn't really line up. Can the  
5 Applicant clarify whether you will have a redundancy  
6 in the emergency batteries?

7 MR. DUNFORD: Yes, this is Gary Dunford.  
8 Right now we don't -- from the accident analysis we've  
9 done and the frequencies, we do not see the need that  
10 we need to have a backup set of batteries for our  
11 emergency power system at this time.

12 COMMISSIONER BARAN: And let me ask the  
13 staff, is -- is the Applicant's answer today  
14 consistent with the information that you evaluated in  
15 the application?

16 MR. BALAZIK: It is -- it is with what  
17 we've reviewed in the application. However, when the  
18 staff looked at this question we see that the -- the  
19 diesel actually provides power to what the UPSs would  
20 supply. So therefore there is some level of  
21 redundancy in that design.

22 COMMISSIONER BARAN: I'm seeing some  
23 nodding from behind. Do you want to chime in on --

24 MR. DUNFORD: Well, that's a true  
25 statement. But we haven't accredited the diesel from

1 a safety perspective so we don't take any credit for  
2 it in an action space.

3 COMMISSIONER BARAN: Okay.

4 MR. BALAZIK: And the staff agrees with  
5 that.

6 COMMISSIONER BARAN: Okay. So from your  
7 point of view -- and I ask this question to both -- is  
8 there any disagreement between the staff and the  
9 Applicant about the status of -- the redundancy of the  
10 electrical power supplies?

11 MR. BALAZIK: With the clarification that  
12 the -- Northwest has provided, no.

13 COMMISSIONER BARAN: Okay. Related to  
14 pre-hearing question 26, the Applicant appears to take  
15 credit for a high-elevation release from the  
16 radioisotope production facility by using a 75-foot  
17 exhaust stack. The RPF building is 65 feet tall. The  
18 exhaust stack attached to the top of it is 10 feet  
19 tall. So 75 total. And RC guidance for atmospheric  
20 dispersion states that the exhaust stack height  
21 should be at least two-and-a-half times the height of  
22 the adjacent structures in order to credit a high-  
23 elevation release under all conditions. And this all  
24 relates to the dose calculation for accident analysis.  
25 Did the staff examine the applicability of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance? And if so, what were your conclusions?

2 MR. BALAZIK: Commissioner, I think we  
3 will have to get back to you on that question?

4 COMMISSIONER BARAN: Can I ask you -- is  
5 there anyone from the staff here who could chime in on  
6 this question of stack height and -- and how that's  
7 analyzed for the purpose of -- you know crediting the  
8 high -- an elevated release?

9 (No audible response.)

10 COMMISSIONER BARAN: Ask the Applicant too  
11 if they have any -- any thoughts on this topic.

12 (Pause.)

13 MR. BALAZIK: John Atchison, do -- do you  
14 have any information that you can provide on that?

15 (Pause.)

16 CHAIRMAN SVINICKI: And again, as you  
17 approach the podium could you please identify  
18 yourself, your affiliation and indicate whether or not  
19 you've been sworn as a witness?

20 MR. ATCHISON: This is John Atchison. I  
21 was sworn in this morning. I am supporting the staff  
22 on this issue. I think we will have provide an answer  
23 later on that question.

24 COMMISSIONER BARAN: Okay, and -- do --  
25 and if -- if this is too much detail for today, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 need to do post-hearing questions we can do that. Let  
2 me just ask, do you -- are you familiar with this reg  
3 guide on the -- the atmospheric dispersion question?

4 MR. ATCHISON: I am.

5 COMMISSIONER BARAN: Okay. And so do you  
6 -- do you have an understanding of when the reg guide  
7 talks about adjacent structures, does that apply to  
8 the radioisotope production facility itself, or only  
9 to nearby buildings on the campus or around the  
10 campus?

11 MR. ATCHISON: My -- my understanding is  
12 that would be surrounding buildings.

13 COMMISSIONER BARAN: So not the 65-foot  
14 building that this stack is attached to, but the  
15 lower-level buildings around there?

16 MR. ATCHISON: The -- the building  
17 underneath the stack is not in the plume direction.

18 COMMISSIONER BARAN: Okay. And do -- and  
19 again, if this -- if it needs to be follow-up  
20 question, we can do that. Do you know how far out you  
21 look for adjacent structures for this purpose? So, do  
22 you look to buildings on nearby lots, of example in  
23 this case? Or -- how far out does that go? That  
24 counts as an adjacent structure?

25 MR. ATCHISON: That search area would be

1 related to the property boundary and the protected  
2 areas and how far away the highest impact public  
3 location would be.

4 COMMISSIONER BARAN: And do you -- do you  
5 have a sense of -- or do you know whether that would  
6 -- would include other lots in the research park? Or  
7 just this lot?

8 MR. ATCHISON: This is basically a small  
9 lot.

10 COMMISSIONER BARAN: All right. So it may  
11 extend beyond that to other lots?

12 MR. ATCHISON: Yes. Mm-hmm.

13 COMMISSIONER BARAN: And so earlier we  
14 heard a little bit that -- and I give the Applicant a  
15 chance to chime in on this too -- broadly speaking.  
16 But we heard earlier that some of those lots are  
17 vacant right now, but that there's interest in getting  
18 folks into some of those lots. So it -- you know, one  
19 could imagine there might be buildings that are built  
20 down the road in a nearby lot. If -- if one of those  
21 buildings were, like, a multi-story building, does  
22 that affect this analysis? Would it require some kind  
23 of reanalysis of this question?

24 MR. ATCHISON: I believe the answer is  
25 yes, it would -- would have to be reanalyzed.

1 COMMISSIONER BARAN: I don't know if the  
2 Applicant wants to address this issue at all -- or we  
3 should save it for post-hearing questions.

4 MR. DUNFORD: Okay, so we have actually  
5 evaluated some scenarios with building wake -- changes  
6 in the building wake from the existing RFP building --  
7 with some mixed results, I guess I will say. In --  
8 the nearest receptor that we currently have as our  
9 permanent resident, that numbers actually go down  
10 under those evaluations.

11 COMMISSIONER BARAN: Okay.

12 MR. DUNFORD: So where we are with our --  
13 with our current analysis is we have just stayed with  
14 that. And we recognize as part of the FSAR we have to  
15 go back and understand that. I am not -- because I --  
16 we actually don't control, obviously, adjacent lots.

17 COMMISSIONER BARAN: Right.

18 MR. DUNFORD: So we have to -- I am not  
19 sure I would necessarily go say that we would have a  
20 ten -- or a 50-59 because someone was going to build  
21 a two-story building away from us. So we've got to  
22 look at that from that aspect. But as far as nearest  
23 resident, we did some -- for -- it was really for the  
24 MHA, which we ended up not using in safety analysis  
25 space, so -- that's where we are right now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 COMMISSIONER BARAN: Okay, and do you --  
2 do you know this issue enough detail to say whether  
3 the way you all looked at it was you were comparing  
4 the 75-foot stack height to the low-level buildings  
5 around it rather than the production facility itself?

6 MR. DUNFORD: No, we compared it using the  
7 interference of the production facility itself.

8 COMMISSIONER BARAN: Okay, and did you  
9 have a view that about the applicability of this  
10 guidance about it being two-and-a-half times taller  
11 than the highest adjacent structure in order to get  
12 credited?

13 MR. DUNFORD: We did have discussions  
14 about that. And as I said, we were doing this as part  
15 of the MHA analysis. When that went away we ended up  
16 staying with the numbers because it -- for the maximum  
17 hypothetical individuals in something like that, they  
18 went down from where we were initially.

19 COMMISSIONER BARAN: In -- but you are  
20 taking credit for it here? Is that -- it read that  
21 way.

22 MR. DUNFORD: We do, yes.

23 COMMISSIONER BARAN: Okay. All right,  
24 well I might have some additional follow-up questions  
25 for the staff and the Applicant then in post-hearing

1 questions where maybe we can get into a little bit  
2 more detail on that in whether -- I mean, maybe to  
3 kind of close out the discussion here for -- you know,  
4 the staff or the Applicant, how do you view the  
5 significance of this issue from a -- from a dose  
6 calculation point of view? Do you see it as a  
7 significant issue or not significant issue? And if  
8 so, either way, why?

9 MR. ATCHISON: I think based -- based on  
10 analysis sensitivities, you will find it is not a  
11 significant reduction in those by -- by crediting the  
12 stack height.

13 COMMISSIONER BARAN: Any thoughts from  
14 Northwest? Or --

15 (Pause.)

16 MR. DUNFORD: I guess I want to see the  
17 numbers before I tell you what's going to happen. I  
18 do know that -- I actually expect as part of the  
19 Operating License Application and the conservatism we  
20 have right now in some changing control philosophies  
21 that we're going forward with, that those numbers are  
22 all going to go down anyway. So I guess I want to  
23 just leave it at that at this stage.

24 COMMISSIONER BARAN: Okay, thank you.

25 CHAIRMAN SVINICKI: Thank you,

1 Commissioner Baran. Now we recognize Commissioner  
2 Burns.

3 COMMISSIONER BURNS: One question for the  
4 staff. There are a number of -- looking at the  
5 proposed construction permit, there are a number of  
6 provisions including periodic reports. What is the  
7 intention of the staff with respect to -- with those  
8 reports? What -- is this in effect helping to build  
9 the docket as you face potential operating license  
10 application? I don't take it -- and if you could  
11 confirm it for me, that these reports -- I am looking  
12 -- particularly some on -- on the criticality and also  
13 on the -- the alarm system and things like that. I  
14 take these are not intended as then step -- further  
15 step-wise approvals within the construction permit  
16 process, but helping to build the record for review  
17 later on. Am I --

18 MR. BALAZIK: Yes, sir. You are correct.  
19 We plan to use this information for -- to support our  
20 review for the Operating License. And it also -- this  
21 information would support the construction inspection  
22 process.

23 COMMISSIONER BURNS: Okay, thank you. We  
24 had some discussion -- I think in response to the  
25 Chairman's questions with regard to IROFS and tech

1 specs. And again this is -- you know, use my analogy  
2 -- maybe not so far as banging the square peg in the  
3 round hole, but -- I mean, it's clear -- I think it's  
4 clear that IROFS and technical specifications serve  
5 essentially the same purpose. Wouldn't you agree?

6 MR. BALAZIK: I do agree. Looking at the  
7 IROFS, they're just more of the Part 70 world where --  
8 where tech specs are more of the Part 50 world.

9 COMMISSIONER BURNS: Okay. Do you --  
10 (Simultaneous speaking.)

11 MR. BALAZIK: And so -- I am sorry.

12 COMMISSIONER BURNS: Go ahead. No -

13 MR. BALAZIK: No, I was just saying that  
14 right now we're trying to -- to blend the two  
15 together.

16 COMMISSIONER BURNS: Okay.

17 MR. BALAZIK: But they still are the same.

18 COMMISSIONER BURNS: Okay. Is there  
19 anything that -- have you seen anything to date that  
20 would present a particular challenge with respect to  
21 -- to doing that at this point? At some point -- I  
22 guess because it's Part 50, you have to have tech  
23 specs. Is that correct?

24 MR. BALAZIK: That is correct.

25 COMMISSIONER BURNS: Okay, so it's -- it's

1 all a matter of how you describe -- well, you can  
2 label them anything. You can -- their IROFS, but you  
3 can call them tech specs, I imagine.

4 You are correct, but at this point we have  
5 not seen any transition of IROFs to tech spec, and  
6 we're not sure what it would look like at this point.

7 COMMISSIONER BURNS: Okay. So, I take it  
8 we haven't really had any experience with that to  
9 date?

10 MR. BALAZIK: Not that I'm aware of.

11 COMMISSIONER BURNS: Okay. All right. I  
12 want to go to one of the pre-hearing questions. Pre-  
13 hearing Question 21, Northwest notes -- this has to do  
14 with the power capacity of the diesel generator. And  
15 in its response to pre-hearing Question 21, the  
16 Applicant says there is no discrepancy in the  
17 information. On the other hand, staff documents a  
18 discrepancy in the SER.

19 And I just want to make sure I sort of  
20 understand the bases for each of your positions. I  
21 also know in that regard, particularly in why this  
22 would be identified as a discrepancy from the point of  
23 view that the construction permit gives the generator  
24 no safety function.

25 But, first, let me ask the Applicant to

1 respond.

2 MR. DUNFORD: So, the purpose of the  
3 sizing of the diesel generator in Chapter 19 was to  
4 bound emissions.

5 COMMISSIONER BURNS: Okay.

6 MR. DUNFORD: And that's so the --

7 COMMISSIONER BURNS: Bound what kind of  
8 emissions?

9 MR. DUNFORD: Hydrocarbons or fumes coming  
10 off of the operation of that generator, gases.

11 COMMISSIONER BURNS: Okay.

12 MR. DUNFORD: CO2. So, that's what that  
13 purpose was, and they used a very conservative number,  
14 right? It's almost twice of what our current number  
15 is.

16 So, when we get to Chapter 4 discussion,  
17 and then, that gets translated into the Chapter 8  
18 discussion, where we now have, as part of the  
19 preliminary design and size, a generator, that number  
20 is quite a bit smaller. And so, that's what's used in  
21 the earlier chapters. But Chapter 19, which was  
22 really there to bound emissions, CO2, we didn't feel  
23 that that needed to be changed.

24 So, the basis for that, granted, the  
25 number is different, right? But the basis for the

1 number and how it's used really doesn't -- it didn't  
2 seem like to us it was a discrepancy. One was just a  
3 bounding conservative value and the other one is our  
4 current realistic value for operations.

5 COMMISSIONER BURNS: Okay. Staff?

6 MR. BALAZIK: Well, also, within Chapter  
7 8, as a result of a request for additional  
8 information, Northwest updated their peak power  
9 supply, and with that, they also have in Chapter 7  
10 where they have a capacity of the diesel generator of  
11 1,000 kilowatts. So, there's an inconsistency between  
12 the peak power that they have in Chapter 7 and the  
13 capacity of the diesel.

14 COMMISSIONER BURNS: Okay. And what's the  
15 significance of that?

16 MR. BALAZIK: It was just pointing out  
17 there's a discrepancy between the two numbers.

18 COMMISSIONER BURNS: Okay. And what's the  
19 importance of the numbers? Does it go to this  
20 question of emissions?

21 MR. BALAZIK: It would. Well, not  
22 necessarily the emission, but how long the diesel  
23 generator would run under a loss of offsite power.  
24 There's a certain timing in that they have done. But  
25 we're just identifying the inconsistency between the

1 two numbers.

2 COMMISSIONER BURNS: Okay, but is there a  
3 significance to a finding with respect to the loss of  
4 offsite power and availability or the retrievability  
5 of this diesel?

6 MR. BALAZIK: No, there's not.

7 COMMISSIONER BURNS: So, it doesn't have  
8 a significance --

9 MR. BALAZIK: There's not.

10 COMMISSIONER BURNS: Okay. Thank you.

11 A couple of last questions, actually, and  
12 I apologize if I should have asked these with respect  
13 to the initial panel. But, just to give a context  
14 again, we talked a little bit about hazards and all.  
15 So, two, just to sort of give me an anchor point.

16 One, what are the seismic parameters being  
17 looked at in terms of the design for the facilities?  
18 Is it like a seismic design basis? I don't mean to  
19 entreat or introduce and affect power reactor  
20 licensing, if I shouldn't be doing so.

21 MR. BALAZIK: Northwest used the Calloway  
22 seismic design for their facility.

23 COMMISSIONER BURNS: And that's like .2g?

24 MR. BALAZIK: Yes, sir, you're correct.  
25 That's where it's anchored at, .2g



1 COMMISSIONER BURNS: Okay. The other one  
2 is with respect to aircraft hazard. I presume we are  
3 analyzing this because of a change to the Commission's  
4 rules about 10 years or so ago, which I think  
5 introduced this analysis. What is the nature of the  
6 aircraft hazard? Where's the nearest airport?

7 MR. BALAZIK: Steve Morris, can you help  
8 us out with that?

9 I know the nearest airport, it's southeast  
10 of the facility, but I'm not exactly sure of the  
11 distance.

12 COMMISSIONER BURNS: Can the Applicant  
13 answer that?

14 MS. HAASS: It's just about five miles  
15 southeast of us, of the facility.

16 COMMISSIONER BURNS: Five miles south?  
17 And what's the nature of it? Is it a small --

18 MS. HAASS: It's a regional airport. I  
19 can't remember the exact number of flights on an  
20 annual basis. Okay, 20,000.

21 COMMISSIONER BURNS: Okay. And the type  
22 of aircraft? You might have like a 737 come in or --

23 MS. HAASS: Actually, most of them are  
24 just more of the CRJs, you know, the itty-bitty ones.

25 COMMISSIONER BURNS: Yes. Okay.

1 MS. HAASS: They do have one annual air  
2 show a year, Memorial weekend.

3 COMMISSIONER BURNS: Okay. Does staff  
4 want to add anything? No? Okay.

5 Thank you. Thank you, Chairman.

6 CHAIRMAN SVINICKI: Well, thank you to all  
7 the presenters for this second Safety Panel.

8 We will now turn to the Environmental  
9 Panel, and we will reset the tables here.

10 While that is occurring, I will state the  
11 following: in this Environmental Panel, both the  
12 Applicant and the staff will address the environmental  
13 review performed in connection with the construction  
14 permit application, with a summary of the staff's  
15 process for developing the Final Environmental Impact  
16 Statement and a discussion of relevant sections of  
17 that document, including the environmental impacts of  
18 the proposed action and the staff's analysis of  
19 alternatives to the proposed action.

20 This is another of the combined panels,  
21 meaning the Applicant and the staff.

22 As we continue to reset the table for the  
23 NRC staff presenters, I would ask that they make their  
24 way to the table because their nameplates are being  
25 placed. Thank you.

1           However, as the staff prepares to be  
2           seated off to the sides, to clear our line of sight,  
3           we will begin once again with Northwest Medical  
4           Isotopes, and I think we're getting close here. We're  
5           very close. Thank you.

6           Okay, great. Thank you very much.

7           So, again, we will begin with the  
8           Northwest Medical Isotopes witnesses. So, please  
9           proceed when you're ready.

10           MS. HAASS: I am Carolyn Haass with  
11           Northwest Medical Isotopes.

12           And if we can go to page 2?

13           So, as you know, Northwest Medical  
14           Isotopes was granted an exemption to submit our  
15           construction application in two parts. And we did  
16           submit our part one, which included Chapter 19 and  
17           Chapter 2, in February of 2015.

18           What you see on the last full bullet here  
19           is a chronology of what's occurred. We submitted it  
20           in February of 2015. The scoping meetings occurred in  
21           December of 2015, with the Draft EIS public comment  
22           period occurring November 1 through December 29th of  
23           2016, with the EIS being published in May of 2007.

24           Page 3, please.

25           The proposed action under this, I think,

1 as we have stated earlier in this hearing, that the  
2 NEPA that was completed or the environmental  
3 assessment -- well, the NEPA that was completed was  
4 for both portions of the facility. It was for a Part  
5 50 and Part 70. So, that means it would be the  
6 production facility as well as the target fabrication.

7 It was to construct -- I mean, the  
8 activities associated with that, we have spoken about  
9 that, as I have said. I mean, they are more detailed  
10 up there, but the material production for the targets,  
11 the targets themselves, moly recovery and  
12 purification, uranium recovery, recycle and recovery,  
13 and that's about it.

14 Northwest Medical Isotopes did propose  
15 that we were going to -- we wanted to construct and  
16 operate at the Discovery Ridge Research Park, which is  
17 owned by the University of Missouri system.

18 Page 4.

19 There was a lot of consultation that  
20 occurred for this proposed site. As you noticed, we  
21 worked with the city, the county, the State of  
22 Missouri -- well, the City of Columbia, the County of  
23 Boone, the State of Missouri, as well as with the  
24 tribal nations and other federal agencies such as the  
25 Department of Energy and U.S. Fish and Wildlife.

1 Slide 5.

2 So, when we initially started working and  
3 wanting to construct and operate a facility, we  
4 evaluated across the country, as Nick Fowler stated  
5 earlier in his opening remarks. We did narrow it down  
6 to four sites, meaning University of Missouri Research  
7 Reactor Site, Discovery Ridge, Oregon State  
8 University, and then, McClellan Business Park, which  
9 was next to the University of California Davis  
10 Reactor.

11 Next slide.

12 We did pick that we wanted to be at the  
13 Discovery Ridge site. But, prior to doing that, from  
14 the four sites, we did narrow it down to the two  
15 sites, because we felt it was most beneficial for us  
16 to be near the University of Missouri Research Reactor  
17 rather than the Oregon State Reactor. So, we narrowed  
18 it down to two. Then, we did a detailed analysis of  
19 both of those sites.

20 And what you're seeing here, if you look  
21 at the pink, the light pink colors on that graphic,  
22 and the furthest one to your left, that is Lot 15,  
23 where we will be. And there's only two other  
24 facilities that are currently really housed there.

25 So, there's 550 acres, and we're only 7.5,

1 or approximately 7.5 acres. So, there is a lot of  
2 room to grow.

3 You'll notice that the areas colored in  
4 yellow, there's different phases and that is a very  
5 late-stage phase. So, there's not a whole lot that's  
6 going to go behind us for quite a bit of time. That's  
7 not where the University system is trying to bring  
8 people in.

9 Next slide.

10 So, one of the reasons I wanted to show  
11 you this is, when we looked at potentially being right  
12 next to MURR, there was a lot of congestion at that  
13 site. There's not a lot of room to do a whole lot,  
14 and particularly, you know, they're still building  
15 follow-on buildings and other buildings around it, you  
16 know, a new cooling tower, those types of things. And  
17 logistically, it would have been very difficult,  
18 especially from a transportation perspective, you  
19 know, getting items in and out. There's just not a  
20 lot of room there.

21 Next slide.

22 So, I know that the NRC staff will talk a  
23 lot more about this, but they went and evaluated five  
24 different alternative technologies. They focused on  
25 two of them, uranium fission technology and the linear

1        accelerator-based technology.

2                From our perspective on the alternatives  
3        that were evaluated, we looked at the no action as  
4        well as the RPF being at MURR, as the alternative site  
5        in Discovery Ridge.    They added two additional  
6        alternatives that we did not evaluate in our  
7        environmental report.

8                Next slide.

9                I am going to hand it over.

10               MR. REESE:    Yes.    So, this is just a  
11        graphic that gives you an idea of the geographical  
12        distribution of the different possible reactors that  
13        would meet our needs.    Again, we looked at, in terms  
14        of    connected    actions,    we    were    looking    at  
15        transportation issues associated with the movement of  
16        both irradiated targets and unirradiated targets as  
17        well as any impacts on facility modifications and/or  
18        changes in staffing levels, and the impacts thereof,  
19        of the irradiations themselves.

20                If you would go to the next slide?

21                What we found is that there's actually  
22        very little in the way of facility modifications that  
23        would    be    necessary.        Certainly    no    exterior  
24        construction would be needed.    There are some changes  
25        in how the facilities handle the targets themselves,

1 but that's not unreasonable, nor is it unexpected.  
2 Excuse me.

3 The actual irradiation of the targets  
4 themselves don't really result in extra staffing per  
5 se because the reactor is running anyway.

6 And we do know that we are going, as part  
7 of the connected actions, going to have to ask for  
8 license amendments for the two facilities, though, and  
9 we are anticipating MURR to submit sometime this year  
10 an OSU to follow up next year.

11 Now the third facility, as referenced by  
12 Nick earlier this morning, we have an idea, but it's  
13 not at this time necessary to meet the needs of the  
14 business model.

15 MS. HAASS: Page 11, please.

16 This is just a summary of the  
17 environmental impact. Some of the NRC staff will talk  
18 more about it. Since this is their document, I think  
19 the only thing to really note here is, on the  
20 construction impacts, you do see that the impacts are  
21 a bit different at MURR, and it was due to noise. And  
22 that's why it went from small at Discovery Ridge to  
23 small to moderate.

24 And when I went and I was looking at this  
25 whole summary, I was trying to determine on the two



1 alternative technologies that were evaluated as well.  
2 You know, I summarized that I believed that, from a  
3 construction and operation perspective, it was going  
4 to be a similar amount of people. It's going to be a  
5 similar-type cost. I mean, we don't do linear  
6 accelerators, so I had to just make those assumptions.

7 But thank you.

8 CHAIRMAN SVINICKI: Thank you for that  
9 presentation.

10 I'll now ask the NRC staff witnesses to  
11 please occupy the places behind their name tents. And  
12 when the staff is ready, please proceed with your part  
13 of the Environmental Panel presentation.

14 MR. BEASLEY: Thank you.

15 CHAIRMAN SVINICKI: Thank you.

16 MR. BEASLEY: Good afternoon --

17 CHAIRMAN SVINICKI: Good afternoon.

18 MR. BEASLEY: -- Chairman and  
19 Commissioners.

20 My name is Benjamin Beasley, and I am the  
21 Chief for the Environmental Review and National  
22 Environmental Policy Act Branch. With me today to  
23 discuss the environmental review of the Northwest  
24 10 CFR Part 50 construction permit application are  
25 Nancy Martinez, a physical scientist; Michelle Moser,

1 a biologist, and David Drucker, a Senior Environmental  
2 Project Manager. We are all from the Division of  
3 Materials and License Renewal in NRR.

4 Part of the staff review of the Northwest  
5 construction permit application included an  
6 environmental review which was conducted in parallel  
7 with the safety review that you heard about earlier.  
8 The staff performed the environmental review in  
9 accordance with the National Environmental Policy Act,  
10 commonly referred to as NEPA.

11 In doing its NEPA review, the staff  
12 followed the environmental review process for  
13 preparing an Environmental Impact Statement described  
14 in 10 CFR Part 51 and the Interim Staff Guidance  
15 augmenting NUREG-1537. An Environmental Impact  
16 Statement is commonly referred to as an EIS.

17 The following presentations provide an  
18 overview of the staff environmental review for the  
19 Northwest application, while highlighting the unique  
20 aspects of this review. The three novel issues that  
21 we will highlight today are related action that were  
22 included in the scope of the environmental review, the  
23 staff decision to prepare an EIS, and staff analyses  
24 to determine the range of reasonable alternatives  
25 analyzed in the EIS.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 Next slide, please.

2 Nancy Martinez will now discuss the scope  
3 of the environmental review and the scoping process.

4 MS. MARTINEZ: Thank you, Ben.

5 One of the first issues considered in the  
6 environmental review of the Northwest Part 50  
7 construction permit application was determining the  
8 scope of the review based on the proposed action and  
9 connected actions, given the unique nature of the  
10 proposed facility.

11 The Northwest application describes a  
12 single proposed radioisotope production facility  
13 building divided into two separate areas where  
14 processes subject to different regulatory regimes  
15 would take place if the facility is licensed to  
16 operate.

17 Consistent with 10 CFR 51.14(b), in  
18 performing its NEPA review, the staff used the Council  
19 on Environmental Quality's definition of "connected  
20 action" contained in 40 CFR 1508.25. "Actions that  
21 are closely related are connected if they, one,  
22 automatically trigger other actions that may require  
23 Environmental Impact Statements; two, cannot or will  
24 not proceed unless other actions are taken previously  
25 or simultaneously, or, three, are interdependent parts

1 of a larger action and depend on the larger action for  
2 their justification."

3 On the next slide, I am going to discuss  
4 how the staff used the definition of connected actions  
5 to determine the scope of the environmental review for  
6 the Northwest application.

7 Next slide, please.

8 The staff determined that the scope of the  
9 environmental review for the issuance of a  
10 construction permit includes construction activities  
11 at the proposed site as well as post-construction  
12 activities on and offsite because they are connected  
13 actions.

14 Construction at the site will include  
15 building a target fabrication area, an administration  
16 building, a waste management building, a diesel  
17 generator building, and support structures. Because  
18 the construction of these buildings and support  
19 structures is an interdependent part of constructing  
20 the proposed Northwest production facility, the staff  
21 also considered these environmental impacts.

22 In addition, operations and  
23 decommissioning of the proposed production facility  
24 are connected actions to production facility  
25 construction because they cannot proceed unless a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 10 CFR Part 50 construction permit is issued.  
2 Therefore, the staff considered the environmental  
3 impacts from these actions as part of its  
4 environmental review of the Northwest application.

5 Construction of the target fabrication  
6 area, which would be co-located with the proposed  
7 production facility within one building, is a  
8 connected action to the construction of the production  
9 facility. Additionally, operations and  
10 decommissioning of the target fabrication area, which  
11 is to be licensed under Part 70, are connected actions  
12 because they would not occur unless a Part 50  
13 construction permit is issued. Therefore, the staff  
14 considered the environmental impacts from these  
15 actions as part of its environmental review of the  
16 Northwest application.

17 Furthermore, operation of the proposed  
18 Northwest production facility will depend on low  
19 enriched uranium, or LEU, targets being transferred to  
20 and from and irradiated in one or more research  
21 reactors. Because moly 99 production cannot occur  
22 until research reactors are licensed to irradiate  
23 these targets, and because the environmental impacts  
24 from LEU target irradiation at research reactors have  
25 not been previously assessed, the staff concluded that

1 target irradiation at research reactors and  
2 transportation of targets to and from the research  
3 reactors are an interdependent part of the proposed  
4 Northwest production facility operation and,  
5 therefore, are also connected actions.

6 Next slide, please.

7 One of the steps in the environmental  
8 review process was determining whether to prepare an  
9 environmental assessment or an Environmental Impact  
10 Statement. Licensing actions that require an EIS are  
11 described in 10 CFR 51.20. The proposed issuance of  
12 a construction permit for a medical radioisotope  
13 production facility is not specifically listed in  
14 10 CFR 51.20. However, pursuant to  
15 10 CFR 51.20(a)(2), the NRC may exercise its  
16 discretion to determine that a licensing action should  
17 be covered by an EIS.

18 After reviewing the Northwest application,  
19 the staff determined that preparation of an EIS would  
20 be an appropriate means to assess the environmental  
21 impacts of the proposed action. The staff made this  
22 determination primarily for two reasons.

23 First, the staff determined that operation  
24 of the Northwest facility, a connected action to  
25 constructing the facility, would include a type of

1 action that would require an EIS. Specifically, the  
2 application describes that, in support of operation,  
3 Northwest would fabricate target material that would,  
4 then, be encapsulated in metal cladding.

5 The uranium used for the target material  
6 would be from a combination of fresh LEU, recovered  
7 LEU from material scrubbed during the target  
8 fabrication process, and LEU recovered and recycled  
9 from the processing of irradiated targets.

10 Therefore, operation of the Northwest  
11 facility, as described in the application, would  
12 include the use of special nuclear material for  
13 processes which require an EIS under  
14 10 CFR 51.20(b) (7) .

15 Second, the staff determined that in this  
16 instance an environmental assessment may not support  
17 a finding of no significant impact. An environmental  
18 assessment is used to determine whether the impacts  
19 from the proposed action may be significant and  
20 whether a finding of no significant impact can be  
21 made.

22 If, based on the environmental assessment.  
23 the staff concludes that the proposed action could  
24 result in significant impacts to the human  
25 environment, then the staff would prepare an EIS.

1 Because the staff was not certain that an  
2 environmental assessment would have supported a  
3 finding of no significant impact for the Northwest  
4 application, it determined that direct preparation of  
5 an EIS would be the most efficient path forward.

6 Next slide, please.

7 The staff published the Notice of Intent  
8 to Prepare an EIS and commenced a 45-day scoping  
9 period to provide the public an opportunity to  
10 participate in the environmental scoping process in  
11 November 2015. Scoping is the process by which the  
12 staff identifies the specific impacts and significant  
13 issues to be considered in the preparation of an EIS.

14 During this time, the staff held a public  
15 scoping meeting in the City of Columbia, Missouri, to  
16 gather input from the public; federal, state, and  
17 local agencies, and tribes, regarding issues to  
18 consider in the EIS. Six attendees provided oral  
19 comments at the public scoping meeting. The oral  
20 comments expressed the benefits of constructing and  
21 operating the proposed facility, mostly focusing on  
22 economic development and job growth.

23 In addition, the staff received eight  
24 comment letters or emails from federal and state  
25 agencies and tribal nations. Written comments were



1 related to a variety of environmental issues,  
2 including the potential impacts to threatened and  
3 endangered species from construction of a facility,  
4 the potential contamination to groundwater, and the  
5 consideration of alternative sites.

6 The staff responded to comments received  
7 during the scoping period in a scoping summary report  
8 and included relevant information from in-scope  
9 comments and the Draft EIS.

10 Next slide, please.

11 Michelle Moser will now discuss the  
12 environmental impacts of the proposed action and  
13 alternatives.

14 MS. MOSER: Thank you, Nancy.

15 In developing the EIS, the staff reviewed  
16 information included in the Northwest environmental  
17 report, visited the proposed site, considered scoping  
18 comments, and conducted an independent review to  
19 characterize the site.

20 The environmental resources described in  
21 the EIS included both the human and natural  
22 environment, such as ecological resources, water  
23 resources, and the socioeconomic conditions  
24 surrounding the proposed site.

25 The proposed site is located within a

1 shovel-ready industrial par for future development.  
2 Past agricultural activities have previously disturbed  
3 the area. Common grass species currently cover the  
4 site, which provide low-quality habitat for wildlife  
5 and birds. The proposed site does not contain any  
6 surface water features, threatened or endangered  
7 species, or historical or cultural resources.

8 Next slide, please.

9 To evaluate the environmental impacts of  
10 the proposed action, the NRC established three levels  
11 of significance for potential impacts: small,  
12 moderate, and large. The staff determined that the  
13 environmental impacts of the proposed Northwest  
14 facility, including all connected actions, would be  
15 small for all resource areas. Small is defined as  
16 environmental effects that are not detectable or are  
17 so minor that they would neither destabilize nor  
18 noticeably alter any important attribute of the  
19 resource.

20 The project-specific activities and site-  
21 specific conditions are the basis for the "small"  
22 findings, such as the condition of the previously-  
23 disturbed site, the low-quality wildlife habitat on  
24 the site, the limited ground disturbance that would  
25 occur, the use of a public water system to obtain and

1 discharge water, and adequate controls to ensure that  
2 radiological exposures would be within regulatory  
3 limits.

4 Next slide, please.

5 Under Section 7 of the Endangered Species  
6 Act, the staff must consult with the Fish and Wildlife  
7 Service to determine if the proposed action may affect  
8 threatened and endangered species. The staff  
9 determined that the proposed action would have no  
10 effect on threatened and endangered species because  
11 the proposed site does not provide suitable habitat.

12 Although Fish and Wildlife Service  
13 concurrence on a no effect determination is not  
14 required, the staff submitted a copy of the Draft EIS  
15 to the Fish and Wildlife Service for its review. In  
16 response, the U.S. Department of the Interior, which  
17 includes the Fish and Wildlife Service, stated that it  
18 had no comments on the Draft EIS. Accordingly, the  
19 NRC has fulfilled its consultation obligations under  
20 the Endangered Species Act.

21 Under Section 106 of the National Historic  
22 Preservation Act, the staff must consult with the  
23 Missouri State Historic Preservation Office to  
24 determine whether historic properties would be  
25 affected by the proposed action. In addition, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 staff consulted with 31 tribes and the Advisory  
2 Council on Historic Preservation.

3 The staff determined that the proposed  
4 action would have no impact on known historic  
5 properties because the staff did not identify any  
6 resources on the proposed site that would be eligible  
7 for protection under the National Historic  
8 Preservation Act. In November 2016, the Missouri  
9 State Historic Preservation Office concurred with the  
10 staff determination that no historic properties would  
11 be affected. Accordingly, the NRC has fulfilled its  
12 consultation obligations under the National Historic  
13 Preservation Act.

14 Next slide, please.

15 The staff also assessed potential  
16 alternatives to granting a construction permit. The  
17 need to compare the proposed action with alternatives  
18 arises from one of the requirements in Section 102 of  
19 NEPA, which states that the EIS will include an  
20 analysis that considers and weighs the environmental  
21 impacts of the proposed action, the environmental  
22 impacts of alternatives to the proposed action, and  
23 alternatives available for reducing or avoiding  
24 adverse environmental impacts.

25 Accordingly, the staff considered the

1 environmental impacts of the no action alternative or  
2 if the NRC were to deny the construction permit  
3 application. In addition, the staff examined  
4 alternative sites by first reviewing the Northwest  
5 site selection process.

6 In the first step of its site selection  
7 process, Northwest evaluated a variety of  
8 environmental and economic factors to narrow down the  
9 number of potential alternative sites to four.

10 In the second step of its site selection  
11 process, Northwest scored each of these four sites  
12 based on 10 criteria to determine which sites would be  
13 eliminated from detailed study and which sites would  
14 be considered for in-depth study.

15 Northwest determined that the University  
16 of Missouri, Columbia, Research Reactor Site would be  
17 considered for in-depth study. The staff considered  
18 the environmental impacts at that site, which varied  
19 from the proposed site because other buildings  
20 currently exist on the site, surface water resources  
21 and mature trees are adjacent to the site, and the  
22 population is greater surrounding the site.

23 Finally, the staff examined alternative  
24 technologies to produce moly 99, which was a unique  
25 aspect of the staff review of the Northwest

1 application.

2 Next slide, please.

3 The alternative technologies analysis was  
4 novel because several entities have proposed new  
5 technologies to produce moly 99 and the proposed new  
6 technologies are at various stages of development.

7 The Council on Environmental Quality  
8 Regulations implementing NEPA provide guidance when a  
9 large number of potential alternatives exist. In such  
10 situations, NEPA only requires that an agency analyze  
11 a reasonable number of examples covering the full  
12 spectrum of alternatives.

13 The staff considered the range of possible  
14 alternatives or various methods to fulfill the stated  
15 purpose and need of the proposed action, which is to  
16 produce moly 99. The staff initially limited the  
17 analysis to the five technologies that the Department  
18 of Energy's National Nuclear Security Administration  
19 awarded cooperative agreements for financial support.  
20 The decision to award cooperative agreements was  
21 based, in part, on evaluation of the technical  
22 feasibility. Thus, these five technologies appear to  
23 be reasonable.

24 Additionally, the staff concluded that the  
25 five entities awarded cooperative agreements covered

1 the spectrum of potential alternatives, based on the  
2 general land use requirements, power levels, and other  
3 environmental factors. The five alternative  
4 technologies were: neutron capture, aqueous  
5 homogeneous reactor, selective gas extraction, linear  
6 accelerator-based, and subcritical fusion.

7 The staff, then, considered whether  
8 sufficient environmental data existed to conduct a  
9 meaningful alternative analysis for each of the five  
10 technologies. For example, the staff looked for  
11 publicly-available documents that described the air  
12 emissions, estimated dose exposures, water use,  
13 building footprints, and other environmental  
14 parameters for each technology. The staff determined  
15 that sufficient environmental data existed to  
16 meaningfully assess the environmental impacts for the  
17 subcritical fission technology and the linear  
18 accelerator-based technology. The staff did not  
19 identify sufficient environmental data for the other  
20 three technologies. Therefore, these three  
21 technologies were eliminated from further detailed  
22 analysis.

23 Next slide, please.

24 David Drucker will now discuss the  
25 cost/benefit analysis.

1 MR. DRUCKER: Thank you, Michelle.

2 In accordance with 10 CFR 51.105(a), the  
3 staff weighed the environmental, economic, technical,  
4 and other benefits against the environmental and other  
5 costs for the proposed action, the alternative site,  
6 the alternative technologies, and the no action  
7 alternative.

8 The main costs included the environmental  
9 degradation directly associated with the proposed  
10 action as well as the financial costs of construction,  
11 operations, and decommissioning of the proposed  
12 Northwest facility. The staff determined that the  
13 environmental impacts would be small for all resource  
14 areas at the Northwest proposed site.

15 In terms of the benefits considered, the  
16 proposed action would result in several societal,  
17 medical, and economic benefits. For example, the  
18 proposed action is consistent with the U.S. policy of  
19 ensuring a reliable supply of medical radioisotopes  
20 while minimizing the use of highly-enriched uranium.

21 In addition, the production of moly 99  
22 would increase the availability of medical  
23 radioisotopes for U.S. public health needs.  
24 Furthermore, constructing and operating the proposed  
25 Northwest facility would result in economic benefits



1 such as tax revenue and employment opportunities to  
2 communities located near the Northwest site.

3 Next slide, please.

4 In October 2016, the staff issued the  
5 Draft EIS for public comment. During this comment  
6 period, the staff requested input from the public;  
7 other federal, state, and local agencies, and tribes,  
8 regarding the data analyses and conclusions in the  
9 Draft EIS.

10 The NRC held a public meeting in Columbia,  
11 Missouri, at which seven commenters made oral  
12 statements. In addition, the staff received five  
13 letters or emails which included comments from the  
14 Sierra Club and from the U.S. Environmental Protection  
15 Agency addressing a variety of environmental issues.  
16 The staff did not receive any comments that resulted  
17 in significant revisions to the EIS.

18 However, the comments from the Sierra Club  
19 and the Environmental Protection Agency did cause the  
20 staff to modify the EIS. These comments, and the  
21 staff responses to the comments, are provided in the  
22 Final EIS, which was published in May 2017.

23 Next slide, please.

24 In accordance with 10 CFR 51.105(a), the  
25 staff weighed the environmental, economic, technical,

1 and other benefits against the environmental and other  
2 costs and considered reasonable alternatives to the  
3 proposed action. Based on small environmental impacts  
4 associated with the proposed Northwest facility and  
5 the societal, medical, and economic benefits  
6 associated with the proposed Northwest facility, the  
7 staff determined that the benefits outweigh the small  
8 environmental costs. Therefore, in the EIS the staff  
9 recommends the issuance of a construction permit to  
10 Northwest.

11 Next slide, please.

12 Future staff NEPA analyses with regard to  
13 Northwest are possible for the three items shown on  
14 the slide.

15 First, if Northwest were to submit an  
16 application for an operating license for a 10 CFR Part  
17 50 production facility, the staff would prepare a  
18 supplement to the EIS developed for the construction  
19 permit, in accordance with 10 CFR 51.95(b). The  
20 supplement to the Final EIS would update the  
21 environmental review by discussing issues or topics  
22 not included in the Final EIS and any different and  
23 significant new information regarding matters  
24 discussed in the Final EIS.

25 As part of the operating license

1 application, Northwest would be required to submit a  
2 supplemental environmental report. The staff would  
3 independently evaluate the information provided in the  
4 supplemental environmental report and would conduct  
5 its own independent review to determine if any  
6 different and significant new information has become  
7 available since the publication of the EIS.

8 The staff would follow the environmental  
9 review process described in 10 CFR Part 51 in  
10 preparing the supplement to the EIS, including  
11 scoping, requesting comments on the EIS, and updating  
12 the EIS based on the public comments received.

13 Second, if Northwest were to submit a  
14 10 CFR Part 70 application for a license to possess  
15 and use special nuclear material for target  
16 fabrication, including scrap recovery, Northwest is  
17 required by regulation to submit an environmental  
18 report in support of this application. The staff  
19 would evaluate this information as appropriate.

20 Third, the staff will conduct a separate  
21 environmental review for each license amendment  
22 request submitted by research reactor licensees to the  
23 NRC to irradiate Northwest targets.

24 The concludes the Environmental Panel  
25 presentation, and we are prepared to respond to your

1 questions.

2 CHAIRMAN SVINICKI: Thank you to all of  
3 the witnesses from the Applicant and the NRC for the  
4 Environmental Panel presentations.

5 We'll begin the questions for this panel  
6 with Commissioner Baran. Please proceed.

7 COMMISSIONER BARAN: Thank you.

8 Last month, on December 18th, the Missouri  
9 Department of Natural Resources sent a comment letter  
10 to NRC on the construction permit application, and the  
11 letter includes about a dozen brief comments. In one  
12 comment, the State noted that the treatment of  
13 hazardous waste is only allowed under State law in  
14 very limited circumstances.

15 I'm not sure if this is more of a safety  
16 question or more of an environmental question, but  
17 there's not much difference in the panels for the  
18 Applicant. So, I'll ask, can the Applicant discuss  
19 whether you're planning to treat non-radioactive  
20 hazardous waste as part of the radioisotope production  
21 process? That seemed to be the focus of a particular  
22 comment that Missouri had.

23 MR. DUNFORD: No.

24 (Laughter.)

25 So, we do have recycle processes for some

1 of our solvents.

2 COMMISSIONER BARAN: Okay.

3 MR. DUNFORD: But, as far as treatment for  
4 disposal, we would go to a third-party vendor to  
5 dispose of non-radioactive hazardous materials that we  
6 have at the facility.

7 COMMISSIONER BARAN: Okay. So, when  
8 Missouri flagged that, I don't know if you guys saw  
9 that letter. It's really not applicable to what  
10 you're doing?

11 MR. DUNFORD: Correct.

12 COMMISSIONER BARAN: As far as you can  
13 tell? Okay.

14 MR. DUNFORD: Correct.

15 COMMISSIONER BARAN: And this is a  
16 question for both -- well, I'll start with the staff.  
17 Is there anything in the letter from the Missouri  
18 Department of Natural Resources that was unexpected or  
19 raised concerns for the staff?

20 MR. BEASLEY: We have reviewed the letter,  
21 and it did not raise anything of special concern. We  
22 have assessed that it did not affect anything that we  
23 had written in the Final Environmental Impact  
24 Statement. So, we don't see any edits that would be  
25 needed.

1 COMMISSIONER BARAN: Okay. And I ask just  
2 the same question to the Applicant. Assuming you had  
3 a chance to review the letter, did it raise any new  
4 issues or concerns for you?

5 MS. HAASS: To our knowledge, no, it has  
6 not raised any new issues.

7 COMMISSIONER BARAN: Okay. All right.  
8 Well, that's all I had. Thank you.

9 CHAIRMAN SVINICKI: Thank you.

10 Commissioner Burns?

11 COMMISSIONER BURNS: Yes, a few questions  
12 I might have.

13 How long -- the land on which the facility  
14 is being built, you said it had been farmland -- how  
15 long has it been dormant?

16 MS. HAASS: It's been used for  
17 agricultural for -- what? -- five, six, seven  
18 generations, and it was donated as a farm to the  
19 University system.

20 COMMISSIONER BURNS: Okay. But,  
21 basically, there's been no farming on it for some  
22 time?

23 MR. DUNFORD: Well, there are still cows.  
24 The pasture --

25 MS. HAASS: Well, the cows roam.

1 MR. DUNFORD: There's still pasture in the  
2 area.

3 COMMISSIONER BURNS: Oh, okay. Yes, okay.

4 MS. HAASS: So, when we talked  
5 agricultural, it was really grazing.

6 COMMISSIONER BURNS: Yes, I misinterpreted  
7 you. Agricultural uses can be something else --

8 MS. HAASS: Right.

9 COMMISSIONER BURNS: -- and the cows will  
10 even eat that lower-quality grass, or whatever  
11 somebody described there -- (laughter) -- that,  
12 fortunately, the endangered species don't, apparently,  
13 like.

14 MS. HAASS: They don't like cows, either,  
15 which is good.

16 COMMISSIONER BURNS: Okay. Well, that  
17 helps. But it's been, as you say, multigenerations  
18 it's been basically agricultural land?

19 MS. HAASS: Correct.

20 COMMISSIONER BURNS: So, the interesting  
21 thing is that, during the contact that's necessary,  
22 and certainly appropriate, as part of the National  
23 Historic Preservation Act, in consultation with tribal  
24 nations, you mentioned there were 31. Are these  
25 essentially in that, somewhat within a particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perimeter or near the site, or are these that may have  
2 had an historic affiliation with a site and now might  
3 be, say, in Wyoming or somewhere else? Can anyone  
4 help me on that?

5 Ms. Martinez?

6 MS. MARTINEZ: The 31 tribes that the  
7 staff consulted with were, as you said, it's because  
8 they had some -- we identified that they may have some  
9 historical affiliation or historic ties to the site  
10 and area.

11 COMMISSIONER BURNS: Uh-hum. So, where  
12 are they? What I'm trying to understand is where are  
13 they. Where are these? Where are the tribal lands or  
14 tribal connections now? That's what I'm trying to  
15 understand.

16 MS. MARTINEZ: I would like to ask one of  
17 the staff members to please come and address that  
18 further.

19 COMMISSIONER BURNS: Yes. Because the  
20 example I would give is, for example, in licensing  
21 plants in North Carolina, you typically have  
22 consultation with the Cherokee Nation, which, of  
23 course, as we know, was forcibly removed in the  
24 beginning of the 19th century during the Jackson  
25 Administration.



1 Yes?

2 CHAIRMAN SVINICKI: And can I ask the NRC  
3 staff witness, please identify yourself, give your  
4 affiliation, and note if you've been sworn.

5 MR. HOFFMAN: My name is Bob Hoffman. I'm  
6 with NRR, and I have been sworn-in.

7 All of these tribes, essentially, do not  
8 have reservations anywhere near the proposed site, but  
9 they do have historic affiliations as far as the range  
10 of their tribes in the past. But most of them now are  
11 located elsewhere, say in Oklahoma or in the Dakotas  
12 or other areas.

13 COMMISSIONER BURNS: Okay. While you're  
14 here, because I'm going to ask a question with regard  
15 to the comments of the EPA and Sierra Club, did we  
16 receive any adverse comments from the tribal nations  
17 with respect to the application?

18 MR. HOFFMAN: No, we did not.

19 COMMISSIONER BURNS: Okay. Let me, then,  
20 thank you.

21 Let me go, then, with respect -- actually,  
22 it was, I think, Mr. Drucker who mentioned it. If you  
23 could briefly say, give a flavor of what the adverse  
24 or what the comments of the EPA and of the Sierra Club  
25 that led to some modifications in our EIS?

1 MR. DRUCKER: So, I'll start with the  
2 Sierra Club, whose comments were very local. They  
3 were very concerned with the local area and the  
4 natural areas nearby the proposed facility.

5 And so, they did propose some  
6 modifications and adding -- actually, it required  
7 Michelle to add some information from one location to  
8 another. They did identify two species. Do you  
9 remember? It was the two species that were also --  
10 were not originally included in the EIS, but, then,  
11 were added later, is that correct, Michelle?

12 MS. MOSER: Yes, just to expand upon that,  
13 so the Sierra Club identified concerns related to  
14 water resources and some of the parks and protected  
15 areas near the proposed site. And so, we added a bit  
16 more information in terms of those protected areas,  
17 both within the land use sections and within the  
18 ecological sections, because they provided both  
19 recreational use and, then, habitats for some  
20 sensitive species.

21 COMMISSIONER BURNS: Okay. All right.  
22 Thank you.

23 MR. DRUCKER: And for the Environmental  
24 Protection Agency, those comments were concerned with  
25 things like gaseous effluents and with how we were

1 going to deal with waste and radioactive dose. And  
2 none of those comments required any significant  
3 changes. It was mostly just adding information from  
4 one place in the EIS to another.

5 COMMISSIONER BURNS: Okay. So, some  
6 clarification? I'll put words in your mouth. Some  
7 clarifications or greater transparency --

8 MR. DRUCKER: Yes.

9 COMMISSIONER BURNS: -- on what we had  
10 done?

11 So, in the view of the staff, you have  
12 adequately dealt with these significant comments from  
13 these two organizations?

14 MR. DRUCKER: Their comments have been  
15 properly addressed.

16 COMMISSIONER BURNS: Okay. Thank you.

17 Let me go to sort of finish up my  
18 questioning with respect to an understanding of the  
19 environmental review process as it will relate  
20 probably to these other licensing actions. And here,  
21 I think we'll touch on an underlying theme of today's  
22 discussion, is this interesting marriage of Part 50  
23 and Part 70 licensing, in particular.

24 So, what you've done, which is what I  
25 would expect in an Environmental Impact Statement,

1 because you really have to take a broad view. This is  
2 the directive under NEPA. You cannot sort of chop  
3 things up so that you avoid looking at impacts, you  
4 know, sort of the natural outcomes of certain  
5 activities.

6 So, what you've done here, as I understand  
7 it, is looked at the Part 50 facility, the impacts of  
8 construction, operation, et cetera. But, because of  
9 the relationship to the Part 70 license, you've also  
10 done that. You've taken into account many aspects of  
11 what would be contained in a Part 70 license.

12 So, this is my question. Well, before I  
13 ask that question, as I understand it, again -- and I  
14 think Ms. Martinez addressed this -- this is not, for  
15 the Part 50 piece, this is not clearly specified as  
16 you must do an EIS, but we felt, given what we  
17 understood, that this was where you make a judgment,  
18 and I think an appropriate judgment call, that you go  
19 forward with an EIS, correct?

20 MS. MARTINEZ: It is correct.  
21 Specifically, for the Part 50 construction  
22 application, an EIS is not required, per our  
23 regulations. And we did this, we made this  
24 determination based on the operations, which is a  
25 connected action that would occur in this facility, as

1 well as the potential to not reach a finding of no  
2 significant impact.

3 COMMISSIONER BURNS: Right. And if I were  
4 only looking at this as a Part 70 facility, my  
5 understanding -- and if you all could confirm that? --  
6 is that this would not be, would not likely be able to  
7 take advantage of a categorical exclusion for the Part  
8 70 aspects. Is that correct?

9 MS. MARTINEZ: For the Part 70 aspects,  
10 there is an application for possession and use of  
11 special nuclear material for target fabrication and  
12 scrap recovery. You are correct, this would not apply  
13 -- a categorical exclusion would not apply. Our  
14 regulations in 10 CFR 51.20(b)(7) require an EIS.

15 COMMISSIONER BURNS: Okay. So, then, let  
16 me come back to the question I was going to ask about  
17 a minute ago. It is, what have we not done under Part  
18 70 in terms of the evaluation of potential  
19 environmental impacts? Phrased another way, is there  
20 something we haven't looked at, at this point, with  
21 respect to the Part 70 aspects of the facility?

22 And I recognize, and let me add the  
23 footnote, I recognize that both under Part 50, just as  
24 we would with a power reactor license or other license  
25 under a two-step process, we would have to do a

1 supplemental, a supplement to the EIS. But, again, my  
2 question is, what haven't we don't here with respect  
3 to the environmental impacts of the Part 70 aspects of  
4 this application?

5 MR. BEASLEY: For the current construction  
6 permit, we have completed all the reviews that are  
7 needed and considered all the information that has  
8 been provided. And correct me if I don't get the  
9 answer to your question. When they filed the Part 70  
10 application, then we would need to look at an updates.  
11 So, if there is updated information or significant new  
12 information -- so, if there's not any significant new  
13 information and the updates are insignificant, then,  
14 conceivably, we would have very little to supplement  
15 in the Final Environmental Impact Statement to support  
16 the Part 70 application.

17 COMMISSIONER BURNS: So, if I understand,  
18 as I understand it then, in a sense, what we've done  
19 -- and again, it's driven by the spirit of NEPA, I  
20 would say, that the notion is, notionally, you look at  
21 the construction impacts, you look at what the  
22 operating license is going to be, but you know you  
23 have this other thing that we're calling Part 70 right  
24 now that's going to be added on.

25 So, in a sense, one -- I'll maybe put

1 words in your mouth -- in a sense, we've almost done  
2 sort of like a bounding analysis with respect to Part  
3 70 aspects. And as you say, Mr. Beasley, I think when  
4 we come back to -- we want to know what the actual,  
5 well, things like in the Part 70 license, what the  
6 actual possession limits are, the form of material.  
7 Some of those details will come sort of, come to us  
8 really more at that Part 70 license stage?

9 MR. BEASLEY: Yes, that's correct. We  
10 didn't intentionally do a review to try to bound a  
11 Part 70 application, but we did a comprehensive  
12 review. We took a hard look, as guidance requires.  
13 And so, that does cover the extent of the facility and  
14 the operations proposed and connected action, the  
15 decommissioning.

16 And there was another aspect that you  
17 started out with that I'm not sure --

18 COMMISSIONER BURNS: Yes, I think that,  
19 yes, I'm just using sort of colloquially the term  
20 "bounding" analysis --

21 MR. BEASLEY: Right.

22 COMMISSIONER BURNS: -- since we do that  
23 in some other occasions. But I recognize that you're  
24 not actually giving any Part 70 permissions.

25 MR. BEASLEY: Right.

1 COMMISSIONER BURNS: What you've done is,  
2 basically, found that this facility, when you do what  
3 NEPA requires and look at it more holistically, what  
4 you're saying is there's no showstopper here in terms  
5 of the environment or in terms -- and I think,  
6 actually, I would go so far to say, or in terms of our  
7 regulatory framework, that would prevent us from  
8 issuing a license down the road?

9 MR. BEASLEY: That's correct.

10 COMMISSIONER BURNS: Okay. Thank you.

11 Thank you, Chairman.

12 CHAIRMAN SVINICKI: Well, thank you,  
13 everyone, for the presentations.

14 I will just cover a bit of that ground  
15 again, just to be sure that I'm crisp in my thinking  
16 on the NEPA analysis that's been done to this point in  
17 time and, then, the future analyses.

18 David, I would return to your slide 16,  
19 which was entitled, "Future NEPA Analyses". So, I  
20 understand this to be that, going forward, if -- or,  
21 since they've indicated they will -- when Northwest  
22 submits an application for an operating license for a  
23 Part 50 production facility, the staff would look at  
24 a supplement to the EIS developed for the construction  
25 permit? And then, again, your presentation indicated,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 if Northwest were to submit a 10 CFR Part 70  
2 application, which, again, the Applicant has indicated  
3 they're going to -- and I think that those would be  
4 submitted concurrently -- the Applicant for Part 70  
5 would be required to submit an environmental report.  
6 And the staff indicates they would evaluate that as  
7 well.

8 And then, third, the staff would plan to  
9 conduct a separate environmental review for each  
10 license amendment request that is submitted by the  
11 research reactor licensee.

12 Do I have the component pieces of that  
13 correct?

14 MR. BEASLEY: Yes.

15 CHAIRMAN SVINICKI: Okay. And so, under  
16 the imperative of avoiding two pitfalls, one of which  
17 is the segmentation, which we don't want to segment,  
18 inappropriately segment the NEPA review or, as  
19 Commissioner Burns called it, chopping it up into  
20 bits. We don't want to do that inappropriately.

21 And we also have to consider the connected  
22 actions, but there are future licensing actions to  
23 come in, in terms of the operating license for Part 50  
24 and the Part 70 application. So, it's quite a bit for  
25 the staff to navigate. I think I understand the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 component elements.

2 Is the staff confident that, under the  
3 approach they've used, that they have avoided any  
4 inappropriate segmentation of all of the actions that  
5 are contemplated here? And has considered all of the  
6 appropriate connected actions? Are you confident  
7 you've done that?

8 MS. MARTINEZ: Yes, the staff is confident  
9 that we have looked at a broad range of connected  
10 actions, the proposed action, in this EIS.

11 CHAIRMAN SVINICKI: Okay. Thank you.

12 And on a separate matter, in response to  
13 a pre-hearing question, the staff indicated that  
14 Northwest Medical Isotopes conducted or had conducted  
15 a cultural resource survey of the site, at the request  
16 of a tribal requester. Maybe it was multiple tribes.

17 Could I ask Northwest Medical Isotopes,  
18 did you conduct that or contract to have that  
19 conducted? Could you describe it and the conduct of  
20 the cultural resources survey? And did any tribes  
21 send observers or participate in the conduct of the  
22 survey?

23 MS. HAASS: I can partially answer that  
24 question. So, there were no observers when we did  
25 that. We did subcontract that out to a company who

1 has a lot of experience in doing cultural resource,  
2 you know, investigations.

3 Off the top of my head, I'll be honest, I  
4 haven't looked at that in a long period of time.

5 CHAIRMAN SVINICKI: Okay.

6 MS. HAASS: I mean, so I can't really  
7 describe the document right now.

8 CHAIRMAN SVINICKI: But this is a, this  
9 was a contracted entity that has, to your knowledge,  
10 experience in doing these types of cultural --

11 MS. HAASS: Yes.

12 CHAIRMAN SVINICKI: -- surveys?

13 MS. HAASS: That is correct.

14 CHAIRMAN SVINICKI: And to your knowledge,  
15 no tribe, either requesting tribes or other tribes,  
16 sent any observers at the time that the survey was  
17 conducted?

18 MS. HAASS: That is correct.

19 CHAIRMAN SVINICKI: Okay. I think that  
20 that's sufficient to answer my inquiry about that.

21 And my last question would -- I know the  
22 staff talked about the scoping process that you went  
23 through. But, given that this was a somewhat complex  
24 set of actions now and in the future, it was complex  
25 to appropriately scope the NEPA evaluation, did the

1 staff receive any comments through the scoping process  
2 that they felt were judgment calls to be analyzed or  
3 not analyzed in this particular NEPA review? Was  
4 there anything that you felt kind of fell on the line  
5 and you struggled with analyzing whether or not you  
6 were going to include that in the scope of the NEPA  
7 review you conducted?

8 MS. MARTINEZ: No, during the scoping  
9 process we did not identify any comments of that  
10 nature.

11 CHAIRMAN SVINICKI: Okay. Thank you for  
12 that.

13 So, I think that those are my questions  
14 for this combined Environmental Panel.

15 We will now take a shorter break, but I  
16 think at five minutes to 3:00 we will reconvene. So,  
17 that's about a seven-minute break. And we will reset  
18 for the closing statements.

19 Thank you all.

20 (Whereupon, the above-entitled matter went  
21 off the record at 2:48 p.m. and resumed at 2:57 p.m.)

22 CHAIRMAN SVINICKI: Okay, I will call the  
23 room back to order, and now I will offer each party,  
24 the applicant and the staff, an opportunity to make a  
25 closing statement. This is also an opportunity, as I

1 understand, the staff may elect to do to provide  
2 additional clarifying response to responses they've  
3 given throughout the day.

4 If you should elect to, please avail  
5 yourself of that opportunity, but we will begin with  
6 closing statements with Northwest Medical Isotopes.  
7 Please proceed.

8 MR. FOWLER: Thank you, Madam Chair,  
9 Commissioner Baran, and Commissioner Burns. Thank you  
10 for your time. I'd ask that Mr. Brown begin our  
11 summary statements and I'll conclude.

12 MR. BROWN: Again, I'm Roy Brown with  
13 Curium Pharmaceuticals. I want to thank you again for  
14 the opportunity to speak with you today. Moly-99 and  
15 tech-99m remain the most important radionuclides in  
16 nuclear medicine today and will be for quite some time  
17 into the future.

18 Having a domestic, reliable supply of  
19 moly-99 is critically important to patients worldwide.  
20 Operational issues at foreign reactors and moly-99  
21 processes such as those we're seeing right now today  
22 in South Africa and Australia emphasize the importance  
23 of increased capacity and domestic production of moly.

24 As I said in my opening remarks, we have  
25 been closely following the development of Northwest

1 Medical Isotopes' project. Northwest's proposed  
2 project will provide a consistent, reliable, and less  
3 interrupted supply of moly-99 for U.S. patients.

4 Curium believes Northwest's technology  
5 offers distinct advantages because it is based on a  
6 well-proven fission method of moly-99 production and  
7 uses existing reactors.

8 Curium encourages the Commission to issue  
9 Northwest their construction permit. Thank you very  
10 much.

11 MR. FOWLER: Thank you, Mr. Brown.  
12 Several presenters during the day have established the  
13 critical need for moly-99 and its importance to the  
14 medical community. I believe several presenters have  
15 also established the desirability of a domestic  
16 source. Northwest Medical Isotopes desires to be that  
17 domestic, secure, and reliable source of moly-99.

18 We do pride ourselves on professionalism  
19 and competency. We hope that is reflected through our  
20 submission for a construction permit application in  
21 this process.

22 We intend to be a stalwart member of the  
23 city of Columbia community and are very grateful to  
24 that community, the city of Columbia, Boone County,  
25 the state of Missouri Economic Development

1 Organization, as well as Senator McCaskill from the  
2 state of Missouri and Senator Wyden from the state of  
3 Oregon for their letters of support and confirmation  
4 of our intended action in Missouri.

5 On behalf of Northwest Medical Isotopes,  
6 we ask respectfully that you provide this application  
7 favorable consideration. Thank you for your attention  
8 and your questions today.

9 CHAIRMAN SVINICKI: Thank you very much  
10 for those closing statements and to all the witnesses  
11 for the applicant. I would now ask the NRC staff to  
12 occupy the positions at the table and Michelle, if you  
13 would like to lead off the staff in their closing  
14 statement, please proceed.

15 MS. EVANS: Thank you, Chairman. So first  
16 of all, we had a few open questions from this  
17 afternoon's discussion that we wanted to address, so  
18 Steve Lynch and Michael Balazik are joining me here at  
19 the table, and I'll turn to Steve to start.

20 MR. LYNCH: Sure, I just wanted to briefly  
21 provide some clarification on the relationship between  
22 the 10 CFR Part 50 and 10 CFR Part 70 requirements as  
23 they apply to the construction of this facility.

24 So the issuance of a 10 CFR Part 50  
25 construction permit to Northwest would only authorize

1 the construction of the proposed Northwest production  
2 facility.

3 The construction permit would not  
4 authorize Northwest to construct areas of its facility  
5 where target fabrication activities would occur.  
6 Instead, the regulations of 10 CFR Part 70 would  
7 apply. The 10 CFR Part 70 regulations do not require  
8 authorization prior to commencement of construction of  
9 the Northwest target fabrication area.

10 Rather, the Part 70 regulations discourage  
11 the commencement of construction as defined in 10 CFR  
12 70.4 for certain facilities in which Part 70  
13 activities are conducted, including processes similar  
14 to fuel fabrication and scrap recovery, until the  
15 staff has made its environmental findings.

16 If construction were to begin before such  
17 findings were made, there could be grounds for denial  
18 of the request to Part 70 license.

19 To address potential delays associated  
20 with the commencement of construction of the Part 70  
21 target fabrication area and the certainty of the  
22 staff's consideration of future Part 70 application,  
23 Northwest has submitted an exemption request from the  
24 requirements of 70.21(f) which are separate from the  
25 staff's considerations for the Part 50 construction



1 permit.

2 If Northwest proceeds with construction of  
3 the Part 70 target fabrication area prior to or  
4 without an exemption from 70.21(f), it would do so at  
5 its own risk.

6 The staff expects that any future Part 70  
7 application for its target fabrication area would  
8 include all required safety and environmental  
9 information to support the issuance of a 10 CFR Part  
10 70 license.

11 MR. BALAZIK: This is Mike Balazik, and  
12 Commissioner Baran, I just want to provide additional  
13 information on the stack questions you asked earlier.

14 10 CFR 50.35(b) states that a construction  
15 permit does not constitute approval of safety and any  
16 design feature at this point of a preliminary design.  
17 With respect to the impact of the stack height on  
18 radiological releases, the staff notes that the  
19 applicant did not request and the staff has not  
20 approved the safety of any design feature at this  
21 time.

22 Based on the staff's review of the  
23 potential radiological releases at the Northwest  
24 facility, the staff finds that Northwest has provided  
25 an adequate preliminary design, including the

1 identification of structures, systems, and components,  
2 and the application of quality level classifications  
3 to protect the health and safety of the public.

4 With respect to the stack, the staff  
5 believes that Northwest has appropriately designated  
6 this item as an item relied on for safety. Now,  
7 however, as this design matures, you may see some  
8 changes in those. There is the potential for that.

9 The staff finds that this designation of  
10 an item relied on for safety, in combination with  
11 Northwest's commitment to meet the Part 20 dose  
12 requirements for accident is sufficient for the  
13 issuance of a construction permit, and additional  
14 information may be reasonably asked for later in  
15 review of the final design as provided in 10 CFR  
16 50.35(a). Thank you.

17 MS. EVANS: Okay, the staff review of the  
18 Northwest construction permit application supports the  
19 national policy objectives of establishing a domestic  
20 supply of moly-99. The Northwest review presented a  
21 number of unique technical and licensing  
22 considerations for the staff.

23 The timely completion of this review  
24 required the expertise, cooperation, and dedication of  
25 staff throughout the Agency. The staff evaluated the

1 Northwest preliminary design to ensure sufficiency of  
2 information to provide reasonable assurance that the  
3 final design will conform to the design bases.

4 The staff found that the Northwest's use  
5 of integrated safety analysis methodologies, the  
6 application of radiological and chemical consequences  
7 and likelihood criteria provide reasonable assurance  
8 that the Northwest ISA process contains the elements  
9 to support the adequate identification of capabilities  
10 and features to prevent or mitigate potential  
11 accidents and protect the health and safety of the  
12 public and the workers.

13 The objective of the staff evaluation was  
14 to assess the sufficiency of information contained in  
15 the Northwest application for the issuance of a  
16 construction permit. As such, the staff evaluation of  
17 the preliminary design and analysis of the proposed  
18 Northwest production facility does not constitute  
19 approval of the safety of any design feature or  
20 specification. Such approval will be made following  
21 the evaluation of the final design of the facility as  
22 described in the final safety analysis report as part  
23 of the Northwest operating license application.

24 The staff also considered the potential  
25 environmental impact of the proposed facility in

1 accordance with the National Environmental Policy Act.  
2 The staff will continue to engage Northwest on its  
3 exemption request that is currently under acceptance  
4 review and any future applications it may submit to  
5 the NRC.

6 Based on the findings of the staff review  
7 as documented in the safety evaluation report and the  
8 final environmental impact statement, and in  
9 accordance with 10 CFR Parts 50 and 51, the staff  
10 concludes that there is sufficient information for the  
11 Commission to issue the subject Part 50 construction  
12 permit with certain conditions to Northwest Medical  
13 Isotopes, and that concludes our closing remarks.  
14 Thank you.

15 CHAIRMAN SVINICKI: Well, thank you to the  
16 applicant and the staff for those closing remarks, and  
17 in the case of the NRC staff, for those clarifying  
18 comments. Prior to recognizing my colleagues for any  
19 closing remarks they would wish to make, I would ask  
20 if either of my colleagues have questions based on  
21 these closing statements or the clarifications that  
22 we've heard?

23 COMMISSIONER BURNS: Yes, Chairman, I do.

24 CHAIRMAN SVINICKI: Yes, Commissioner  
25 Burns?

1 COMMISSIONER BURNS: I have two or three  
2 actually given the explanation Mr. Lynch gave here, so  
3 I want to make sure I understand the staff's position.

4 So assuming that the Commission takes  
5 favorable action on the Part 50 construction permit,  
6 as I understand it, the staff's position would be that  
7 Northwest Medical should not disturb the land on which  
8 the Part 70 portion of the facility would exist  
9 pending action on its amendment, exemption request, or  
10 if it does so, it would do so at its own risk.

11 MR. LYNCH: With the clarification at the  
12 end of your statement there that they would do so at  
13 their own risk, that is correct. The staff does not  
14 believe that there should be any prohibition placed on  
15 Northwest to begin construction or disturb the land.

16 COMMISSIONER BURNS: Okay, and what is the  
17 staff's schedule for acting on the exemption?

18 MR. LYNCH: So at this time, we are in the  
19 process of performing our docketing acceptance review.  
20 I believe the application was entered into ADAMS on  
21 December 28, and we are working on a 45-day acceptance  
22 review schedule, so our next step is to have a call  
23 with the applicant to discuss the status of the  
24 request.

25 COMMISSIONER BURNS: And what would be

1       once - let's assume that the exemption request is  
2       accepted for review, what is the staff's typical  
3       review period?

4               MR. LYNCH: In previous exemption requests  
5       that are of a more administrative nature, generally  
6       the quickest that the staff would review such a  
7       request would be in two to three months.

8               COMMISSIONER BURNS: Okay, finally, this  
9       actually goes to Northwest Medical. During your  
10      presentation, we talked about, I think, both the  
11      environmental, but I think the overview.

12              There was a discussion on not only the  
13      necessity for Oregon State and the University of  
14      Missouri for potential amendments of research  
15      reactors, but also potential modifications to the  
16      Certificate of Compliance on the casks for shipment.

17              My question actually is not so much about  
18      what the complexity of that might be, but is there the  
19      cask capacity, if you will, is there, have you  
20      assessed the supply of casks and availability that  
21      would, from your assessment, if and when the project  
22      goes forward and goes into operation, are sufficient  
23      casks available for the needs that you would have?

24              MS. HAASS: We will actually - we are in  
25      the process of our documentation and contracts to

1 start getting those fabricated.

2 COMMISSIONER BURNS: Okay, all right,  
3 thank you. Is there some estimate without - I'm not  
4 trying to get you to reveal proprietary information,  
5 but is there some estimate of what your kind of need  
6 would be for numbers of casks?

7 MS. HAASS: I would say that's more on a  
8 proprietary nature -

9 COMMISSIONER BURNS: Okay.

10 MS. HAASS: - in what we're doing because  
11 it's part of our business model.

12 COMMISSIONER BURNS: Okay, all right,  
13 thanks. I'll leave it at that. Thank you, Chairman.

14 CHAIRMAN SVINICKI: Okay, I thought the  
15 clarifying statement was very helpful, and now I'm not  
16 sure, and Commissioner Baran would also like now to  
17 have a follow up question. I'll withhold mine. I'll  
18 read the transcript and then I'll look quickly to see  
19 if there's a post hearing question.

20 COMMISSIONER BARAN: No, it's a quick  
21 question to follow up on Commissioner Burns'  
22 questions. So recognizing that the exemption request  
23 is a separate licensing action and that you're still  
24 in acceptance review on that, would you foresee the  
25 analysis of that request relying on the EIS from this

1       licensing action given that it looked at the Part 70  
2       aspects of the facility?

3               MR. LYNCH:    Sure, we definitely could  
4       leverage our previous environmental impact statement  
5       as we consider the environmental aspects associated  
6       with the exemption request.

7               COMMISSIONER BARAN:    Okay, that was my  
8       question.   Thanks.

9               CHAIRMAN SVINICKI:    Okay, thank you, and  
10      so now I would recognize my colleagues for any closing  
11      remarks they would like to make, and I'll begin by my  
12      list here with Commissioner Burns.

13              COMMISSIONER BURNS:    I want to thank both  
14      the staff and the applicant for their presentation and  
15      testimony here today.   We've covered, I think, a  
16      number of issues, you know, that bear on the somewhat  
17      unique aspects of this facility.

18              I would note, as the staff recognized as  
19      one of the things it considers during its NEPA review,  
20      that we have national policy that is intended to  
21      improve the availability of medical isotopes for  
22      protection of public health and their availability in  
23      diagnostic and therapeutic treatment.   We currently,  
24      I think, as the numbers say, we consume more than 50  
25      percent of the world's supply.



1 I would also note beyond national policy,  
2 because one of the last things I worked on when I was  
3 at the OECD, but under the Organization of Economic  
4 Cooperation and Development, sponsored a joint  
5 declaration on isotope availability of which the  
6 United States was a signatory, as well as a number of  
7 other producing and consuming countries. So I think  
8 not only is there a national policy, but an  
9 international interest in moving forward in this area.

10 Obviously, whether we come to an ultimate  
11 decision on operation, there is still some steps ahead  
12 of us and ahead of the application, but I think I  
13 appreciate the opportunity today to hear from both the  
14 applicant and the staff with respect to this facility  
15 and the plans for it. Thank you.

16 CHAIRMAN SVINICKI: Thank you.  
17 Commissioner Baran?

18 COMMISSIONER BARAN: Before I give a very  
19 brief closing, I will just give the staff an  
20 opportunity. It looked like you were getting ready to  
21 further elaborate on this question, and feel free to  
22 do to.

23 MR. TIKTINSKY: Thank you. This is David  
24 Tiktinsky of the Office of Nuclear Material Safety and  
25 Safeguards. I wanted to just clarify the words of

1 land disturbance. So construction in 70.4 is defined  
2 specifically as any other activity at the site of a  
3 facility subject to regulations in this part that has  
4 an exception nexus to radiological health and safety  
5 and common defense and security.

6 So other areas, they also specifically  
7 define things that aren't considered construction, and  
8 things like land disturbance, and site exploration,  
9 and erection of fences in preparation of the site is  
10 not considered construction, so I just wanted to  
11 clarify that.

12 COMMISSIONER BURNS: Okay, thank you.

13 MR. TIKTINSKY: Land disturbance is not  
14 construction in terms of Part 70.

15 COMMISSIONER BURNS: Building walls and  
16 pouring concrete?

17 MR. TIKTINSKY: Yes, that is nexus, yes.

18 COMMISSIONER BURNS: Okay, thank you.

19 COMMISSIONER BARAN: With that, I just  
20 want to briefly thank the staff for all their hard  
21 work throughout the review of this application, and I  
22 want to thank all of today's participants for your  
23 thorough preparation for this important hearing. It's  
24 very much appreciated, and thanks again.

25 CHAIRMAN SVINICKI: All right, before I

1 make some brief procedural announcements at the very  
2 end, let me also provide some general closing remarks  
3 as a member of the Commission.

4 I want to commend the applicant for a very  
5 vigorous preparation, and defense, and response to the  
6 Commission's questions today. I also thank the NRC  
7 staff, all of the witnesses, but also all of the staff  
8 who contributed to the work that was discussed here  
9 today. It's a tremendous effort.

10 And I always like to acknowledge the hard  
11 work of our Office of the Secretary of the Commission  
12 and the Office of Commission Appellate Adjudication  
13 which are so pivotal to supporting the Commission in  
14 its preparation and work to conduct a hearing such as  
15 today, and also all of the administrative  
16 professionals throughout the Agency who support all of  
17 us in the logistics of the important work that's  
18 carried on by the Agency.

19 I will also comment as Commissioner Burns  
20 did on what Michelle termed the national policy  
21 objectives of the United States having some production  
22 capability. Consuming over half of something and  
23 having no production capability doesn't seem like the  
24 most resilient posture for any country, so that is at  
25 work here, but -

1           And whether or not any of us ever walk  
2           into a nuclear power plant, the chance that we're  
3           going to be a patient having some sort of, if not  
4           therapeutic, at a minimum, a nuclear medicine  
5           diagnostic procedure is highly likely for any  
6           individual in this country because we have such  
7           medical access that that's available to us, which is  
8           also a great blessing. But in any event, Congress has  
9           identified that this is an area that the U.S. should  
10          work to rectify.

11           While all of that is going on, however, it  
12          is the NRC's unique role and the obligation of the NRC  
13          staff to look in a very searching way at the safety of  
14          the proposed facility and its environmental impacts at  
15          this construction permit stage, and I thank them for  
16          the thoroughness with which they responded to the  
17          Commission's questions today.

18           To the extent that for members of the  
19          public, it looks like confusion reigned a bit on our  
20          deep knowledge of the various aspects of our  
21          regulations, I think I would observe that our  
22          regulations are very thorough. We just want to be  
23          sure that we're applying the right components.

24           There aren't really, in my view, any gaps.  
25          There's nothing that's falling through the cracks.

1 It's a very, very rigorous regulatory framework, and  
2 we just want to make sure that we are approaching it  
3 under the appropriate relevant regulations, so that's  
4 been some of the byplay.

5 We do have also our post hearing question  
6 opportunities. So it may be as I study the back and  
7 forth, I may have some questions that I will submit  
8 just for clarification to the record today.

9 Sometimes as I listen to the responses to  
10 others' questions, and this tends to happen, is you  
11 think you understand it. Someone else phrases a  
12 question differently, you hear the response, and then  
13 you say, "Okay, that isn't 100 percent what I  
14 understood." So we will have a chance to pose those  
15 as post hearing questions.

16 So moving to that procedural matter, I  
17 will state that in closing and for the information of  
18 the parties, the deadline for responses to any post  
19 hearing questions will be February 6, 2018 unless the  
20 Commission directs otherwise.

21 The Secretary of the Commission plans to  
22 issue an order with post hearing questions, if any, by  
23 January 30, 2019. The deadline for transcript  
24 corrections will be February 5. The Secretary plans  
25 to issue an order requesting proposed transcript

1 corrections by January 29.

2 As I mentioned this morning, the  
3 Commission expects to issue a final decision promptly  
4 with due regard to the complexity of the issues.  
5 Thank you all again, and the hearing is adjourned.

6 (Whereupon, the above-entitled matter went  
7 off the record at 3:18 p.m.)  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

In the Matter of	)	
	)	
NORTHWEST MEDICAL ISOTOPES, LLC	)	
	)	Docket No. 50-609-CP
	)	
(Medical Radioisotope Production Facility)	)	
	)	
(Mandatory Hearing)	)	

CERTIFICATE OF SERVICE

I hereby certify that copies of the foregoing **ORDER (Setting Deadline for Proposed Transcript Corrections)** have been served upon the following persons by Electronic Information Exchange.

U.S. Nuclear Regulatory Commission  
Office of Commission Appellate Adjudication  
Mail Stop: O-16B33  
Washington, DC 20555-0001  
[ocaamail@nrc.gov](mailto:ocaamail@nrc.gov)

U.S. Nuclear Regulatory Commission  
Office of the Secretary of the Commission  
Mail Stop: O-16B33  
Washington, DC 20555-0001  
[hearing.docket@nrc.gov](mailto:hearing.docket@nrc.gov)

U.S. Nuclear Regulatory Commission  
Office of the General Counsel  
Mail Stop: O-14A44  
Washington, DC 20555-0001  
Mitzi Young, Esq.  
Jeremy Wachutka, Esq.  
Catherine Scott, Esq.  
Catherine Kanatas, Esq.  
John Tibbetts, Paralegal  
[mitzi.young@nrc.gov](mailto:mitzi.young@nrc.gov)  
[jeremy.wachutka@nrc.gov](mailto:jeremy.wachutka@nrc.gov)  
[catherine.scott@nrc.gov](mailto:catherine.scott@nrc.gov)  
[catherine.kanatas@nrc.gov](mailto:catherine.kanatas@nrc.gov)  
[john.tibbets@nrc.gov](mailto:john.tibbets@nrc.gov)

Carolyn Haass  
Chief Operating Officer  
Northwest Medical Isotopes, LLC  
22500 Hope Dale Avenue  
Parker, CO 80138  
[carolyn.haass@nwmedicalisotopes.com](mailto:carolyn.haass@nwmedicalisotopes.com)

[Original signed by Herald M. Speiser ]  
Office of the Secretary of the Commission

Dated at Rockville, Maryland,  
this 29<sup>th</sup> day of January, 2018