

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Fuels, Materials, and Structures Subcommittee

Docket Number: (n/a)

Location: teleconference

Date: Friday, May 20, 2022

Work Order No.: NRC-1962

Pages 1-78

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1716 14th Street, N.W.  
Washington, D.C. 20009  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FUELS, MATERIALS, AND STRUCTURES SUBCOMMITTEE

+ + + + +

FRIDAY

MAY 20, 2022

+ + + + +

The Subcommittee met via hybrid Video  
Teleconference, at 8:30 a.m. EDT, Ronald Ballinger,  
Chairman, presiding.

COMMITTEE MEMBERS:

RONALD G. BALLINGER, Chair

VICKI BIER, Member

CHARLES H. BROWN, JR. Member

VESNA DIMITRIJEVIC, Member

WALTER KIRCHNER, Member

DAVID PETTI, Member

JOY L. REMPE, Member

MATTHEW SUNSERI, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACRS CONSULTANT:

DENNIS BLEY

DESIGNATED FEDERAL OFFICIAL:

CHRISTOPHER BROWN

ALSO PRESENT:

MICHELLE HAYES, NRR

BRUCE LIN, NRR

SCOTT MOORE, ACRS

STEPHEN PHILPOTT, NRR

MIKE TURNBOW, Public Participant

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CONTENTS

Opening Remarks and Objectives . . . . . 4  
     Ronald Ballinger, Chair

Staff Opening Remarks . . . . . 6  
     Michelle Hayes, Branch Chief, NRR

Staff Presentation - Overview of ASME  
 Section XI, Division 2 . . . . . 8  
     Bruce, Lin, NRR

Staff Presentation - Overview of  
 RG 1.246 and Resolution of Public Comments . . . 38  
     Stephen Philpott, NRR

Committee Discussion . . . . . 70

Public Comments . . . . . 75  
     Mike Turnbow, Secretary, MANDE  
     working group under RIM, and  
     Chairman of the ANDE Project . . . . . 76

Closing Comments . . . . . 77  
     Ronald G. Ballinger, Chair

## P R O C E E D I N G S

8:30 a.m.

CHAIRMAN BALLINGER: The meeting will now come to order.

This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Fuels, Materials, and Structures. I'm Ron Ballinger, chairing the Subcommittee meeting.

ACRS members present are myself, of course; Vicki Bier; Dave Petti; Dennis Bley, our consultant; Walt Kirchner; Matt Sunseri; Joy Rempe; Vesna Dimitrijevic.

If I've missed somebody, please chime in.

Chris Brown is the ACRS, of the staff, Designated Federal Official for this meeting.

It's an information briefing, by the way, unless we decide something different, based on discussions. The Subcommittee will receive a briefing from the NRC staff regarding Reg. Guide 1.246, "Acceptability of ASME Code Section XI, Division 2, Requirements for Reliability and Integrity Management Programs, RIM, for Nuclear Power Plants for Non-Light Water Reactors."

The rules for participation in all ACRS meetings, including today's, were announced in The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Federal Register on June the 13th, 2019.

2 The ACRS section of the U.S. NRC public  
3 website provides our Charter, Bylaws, agendas, Letter  
4 Reports, and full transcripts of all full and  
5 subcommittee meetings, including slides presented  
6 there. The meeting notice and agenda for this meeting  
7 were posted there.

8 We have received no written statements or  
9 requests to make oral statements from the public.

10 The Subcommittee will gather information,  
11 analyze relevant issues and facts, and formulate  
12 proposed positions and actions, as appropriate, for  
13 deliberation by the full Committee.

14 The rules for participation in today's  
15 meeting have been announced as part of the notice of  
16 this meeting previously published in The Federal  
17 Register.

18 Today's meeting will be held exclusively  
19 over Microsoft Teams. A telephone bridgeline allowing  
20 participation of the public over their computer using  
21 Teams or by phone was made available.

22 A transcript of today's meeting is being  
23 kept. Therefore, we request that meeting participants  
24 on Teams and on the Teams call-in line identify  
25 themselves when they speak, and to speak with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 sufficient clarity and volume, so they can be readily  
2 heard.

3 Likewise, we request that meeting  
4 participants keep their computer and/or telephone  
5 lines on mute when not speaking to minimize  
6 disruptions.

7 The chat feature on Teams should not be  
8 used for any technical exchanges.

9 Let's make sure that everybody has got  
10 their phone on mute.

11 Now I think -- is Michelle Hayes, Branch  
12 Chief, going to provide some opening remarks, or is  
13 there another staff member that's going to do that?

14 MS. HAYES: I was going to provide some  
15 opening remarks. This is Michelle Hayes.

16 CHAIRMAN BALLINGER: Sounds like a plan.  
17 Very good. Let's proceed. Thank you.

18 MS. HAYES: Thank you.

19 So, good morning.

20 I'm Michelle Hayes, Chief of Advanced  
21 Reactor Technical Branch 1 in the Office of Nuclear  
22 Reactor Regulation.

23 As Chairman Ballinger mentioned, today's  
24 discussion is on NRC's endorsement of ASME Code's  
25 requirements for integrity management programs, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 RIM, that is found in Section XI, Division 2, of the  
2 ASME Boiler and Pressure Vessel Code.

3 I'm excited that I get to make the opening  
4 remarks because I think this project epitomizes NRR's  
5 vision for advanced reactors. It makes the safe use  
6 of advanced reactor technologies possible because it  
7 offers the first NRC-endorsed process these vendors  
8 can use to develop and implement a preservice and  
9 inservice inspection program. It advances risk-  
10 informed and performance-based approaches and safety  
11 reviews because RIM itself is a risk-informed,  
12 performance-based program.

13 It leverages partnerships across the  
14 agency because the endorsement team drew staff from  
15 NRR, Research, and the Regions. This enabled us to  
16 perform a diverse and comprehensive review of this new  
17 approach to inspections of passive components.

18 Our interactions with ASME and vendors  
19 demonstrated the importance of stakeholder engagement  
20 and our commitment to endorsing consensus codes and  
21 standards, and issuing this Reg. Guide improves the  
22 efficiency and effective use of future reviews of  
23 vendors that use RIM.

24 Before we get started, I want to highlight  
25 one procedural point about the Reg. Guide. While the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 copy you got is what we consider to be the final  
2 version, it won't be issued until the end of June.  
3 While RIM will not be incorporated into 10 CFR 50.55a,  
4 one of the conditions in this Reg. Guide is to use the  
5 2019 edition of RIM in conjunction with the 2019  
6 edition of ASME Code, Section XI, Division 1, and any  
7 applicable conditions in 10 CFR 50.55a. However, the  
8 final 10 CFR 50.55a rule that incorporates the 2019  
9 edition of ASME Section XI, Division 1, with the  
10 respective conditions, won't be published until the  
11 end of this June. So, we don't want to get ahead of  
12 that.

13 Thanks in advance for your attention, and  
14 we look forward to your questions.

15 I'll now turn it over to our in-house RIM  
16 expert, Bruce Lin, to provide an overview of the  
17 program.

18 MR. LIN: Okay. Good morning, everyone.

19 Thanks, Michelle.

20 So, I'm Bruce Lin. I'm one of the  
21 Material Engineers with the Office of Regulatory  
22 Research.

23 Again, thank you for the opportunity to  
24 present today at the ACRS on the staff endorsement of  
25 ASME Section XI, Division 2, the RIM program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 I'm going to provide a very high-level  
2 overview of what RIM is; go over the RIM process, and  
3 basically, also the various sections in Section XI,  
4 Division 2, just to give you a flavor of what's  
5 included in the RIM standard.

6 In the next presentation, Steve Philpott  
7 will discuss the staff review of the RIM standard and  
8 the endorsement of Section XI, Division 2, and the  
9 Regulatory Guide.

10 Next slide, please.

11 So, why is Section XI, Division 2,  
12 developed? The industry had been using Section XI,  
13 Division 1, for decades, and it's working and it's  
14 effective. The problem is Division 1 is focused on,  
15 essentially, boiling and pressurized light water  
16 reactor technologies. So, under the current Division  
17 1 rule, inservice inspections are specifically  
18 described at specified frequencies for doing the 10-  
19 year inservice inspection intervals. So, this may not  
20 be well-suited for some advanced non-light water  
21 reactor designs, some with longer fuel cycles than the  
22 typical PWR, you know, 18-to-24-month fuel cycles.

23 Also, some of the traditional, non-  
24 destructive examinations that are currently in use  
25 today may not be effective in detecting some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 degradation that is unique to some of the advanced  
2 non-LWRs.

3 For some, this design may be more  
4 effective to use, for example, on monitoring than  
5 doing an inspection at the prescribed intervals.

6 So, Division 2 was developed to allow the  
7 possibility for some of the new advanced reactor  
8 designs to implement alternate strategies from Section  
9 XI, Division 1, requirements. Division 2 RIM is  
10 intended to be a technology-neutral code. So, it can  
11 be applied to all reactors. It does have reactor-  
12 specific supplements to account for the difference in  
13 reactor design. The supplement, basically, provides  
14 the specific details related to, for example, the  
15 degradation mechanism, all evaluations and acceptance  
16 criterias for the specific reactor design.

17 Right now, the RIM standard has a  
18 placeholder for six different reactor types, including  
19 a high temperature gas reactor, nuclear metal  
20 reactors, molten salt, light water reactors, and  
21 fusion reactors.

22 Of course, many of the technology-specific  
23 supplements are still under development. Right now,  
24 only two have been completed so far.

25 Next slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           So, what is RIM? So, in a very high  
2 level, it's a program to ensure that the passive  
3 components are properly managed to meet the planned  
4 recent reliability goals. It's based on the  
5 philosophy of maintaining an adequate level of  
6 reliability.

7           So, the objective of the RIM is to  
8 implement strategies, I think including the  
9 combination of design, fabrication, or inspection and  
10 maintenance requirements that are necessary and  
11 sufficient to ensure that the reliability targets are  
12 defined and maintained throughout the life of the  
13 plant.

14           CHAIRMAN BALLINGER: This is Ron, Ron  
15 Ballinger.

16           MR. LIN: Yes?

17           CHAIRMAN BALLINGER: In the very  
18 beginning, you specified that the code of record was  
19 the 2019 version? There is a 2021 version.

20           MR. LIN: Right.

21           CHAIRMAN BALLINGER: And I haven't  
22 compared the two. So, I don't know what the  
23 differences are. But might there be an opportunity to  
24 use that version? They don't come out with versions  
25 that often.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. LIN: Right.

2 CHAIRMAN BALLINGER: So, there may be an  
3 opportunity to keep it up-to-date.

4 MR. LIN: The staff reviewed the 2019  
5 edition of the Code, and that's the edition we're  
6 endorsing. I think there are very minor changes  
7 between the 2019 and 2021 editions, only editorial  
8 changes.

9 CHAIRMAN BALLINGER: Okay. Thanks.

10 Also, while Division 1 has been in use for  
11 a very, very, very long time, the industry has evolved  
12 to the point where they're using online monitoring and  
13 all kinds of other things. So, that it may be that in  
14 the future Division 2 might actually be useful for  
15 current LWRs.

16 MR. LIN: Yes. I mean, I think Division  
17 2, again, right now, it's just a process. I think  
18 there's going to be a lot more effort still required  
19 to initially develop the program. So, Division 1,  
20 again, it is very prescriptive and it's pretty easy to  
21 follow, if you want to decide to use it. But Division  
22 2 will require, in my opinion, significant effort  
23 upfront as we develop the program.

24 CHAIRMAN BALLINGER: Yes, if you can get  
25 by the 10-year ISI. That's very restrictive.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           Anyway, okay. Just my personal opinion.  
2 Thank you.

3           MR. LIN:        So, yes, this slide  
4 covers/describes the RIM process philosophy. RIM  
5 evaluates all SSCs for their impact in plant safety  
6 and reliability and established the necessary  
7 examination tests, operation or maintenance, including  
8 repair and replacements, to ensure that all the  
9 systems, structures, and components meet the plant  
10 recent reliability goal.

11           This is meant to be an iterative process,  
12 you know, during the design stage. So that, if a  
13 performance target cannot be met through the  
14 inspection or monitoring, the SSC, hopefully, can be  
15 redesigned to include maybe a higher margin and the  
16 desired operation can be changed to allow provision  
17 for maybe replacement during operations.

18           So, this is very different from the  
19 prescriptive approach used in Division 1. I mean, the  
20 philosophy of Division 1 is to maintain a sufficient  
21 number of tests and examinations to provide assurance  
22 that the plant is safe. Division 1 uses the class  
23 approach, like Class 1, Class 2, and Class 3, with  
24 each class having sort of less rigorous criteria. And  
25 it provides very prescriptive requirements, including

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 what you need to inspect; how often you need to  
2 inspect, and the specific method to use. Whereas, in  
3 Division 2, it doesn't really have a lot of specific  
4 requirements. It's a process. They provide a process  
5 for owners to develop their programs.

6 Okay. Next slide, please.

7 So, this slides shows the overall RIM  
8 process. It started with, you know, we identified SSC  
9 to be included in the program, and then, you conduct  
10 a degradation assessment to identify and evaluate all  
11 the potential degradations.

12 And the next step is you allocate the  
13 reliability target to SSC, and once that's done, you  
14 implement your strategies to make sure you meet those  
15 target reliabilities. And you implement the program,  
16 and then, you monitor and update a program as  
17 necessary. I'll go through these steps in more detail  
18 in the next few slides.

19 But the concept is very similar to the  
20 recent for ISI, but I believe it's more than ISI. ISI  
21 is just one of the strategies that can be used.

22 CHAIRMAN BALLINGER: This is Ron Ballinger  
23 again.

24 Yesterday, I mentioned that there's a part  
25 of the Part 53 discussion that the ASME Fitness-for-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Service Code -- or there's a procedure, FFS-1 --  
2 doesn't use the word "RIM," but that Fitness-for-  
3 Service document takes a quite similar approach.

4 Anyway, again, my personal opinion.

5 MR. LIN: Yes, I believe that's the  
6 standard API 571, if I remember right.

7 CHAIRMAN BALLINGER: I think it's 589,  
8 590, yes.

9 MR. LIN: Yes. I had a number, but --  
10 yes.

11 As I said, I'll walk through these steps  
12 in a very high level.

13 But let's go to the next slide.

14 Step 1 is, you know, determine the scope  
15 of the SSC to be included in the program. Again, RIM  
16 is limited to passive SSCs. So, the scoping core, the  
17 passive SSCs whose failure could adversely affect  
18 plant safety and reliability.

19 The step itself doesn't really provide a  
20 lot of specific guidance on the requirement, on how  
21 you, you know, what you need to go about, what SSCs  
22 needed to be included in the RIM program. Basically,  
23 it required the owner to document a specific list of  
24 SSCs that is evaluated to be included in the program,  
25 and it also required owners to document the bases for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 excluding any SSCs from the program.

2 MEMBER KIRCHNER: Bruce, this is Walt  
3 Kirchner.

4 MR. LIN: Yes?

5 MEMBER KIRCHNER: At a high level, what,  
6 in practice -- one could use a PRA for defining the  
7 scope, for example.

8 MR. LIN: Right.

9 MEMBER KIRCHNER: But, in practice, what  
10 was the intent of the ASME Code Committee? Was it for  
11 the entire plant? This says the entire life of the  
12 plant and "each passive SSC that's in scope." But  
13 what's the top-level discriminator for defining what's  
14 in scope?

15 MR. LIN: Well, from my discussion with  
16 the RIM Committee, I asked the question specifically.  
17 I specifically asked the question. I think the scope  
18 includes all SSCs in the plant. And I think the PRA  
19 would help determine which SSC would have a  
20 significant impact on recent reliabilities.

21 MEMBER KIRCHNER: So, reliability is one  
22 thing and that impacts operability.

23 MR. LIN: Yes.

24 MEMBER KIRCHNER: And that has a  
25 connection to safety. But is it, in your estimation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is it really focused on those SSCs that are important  
2 to safety or those --

3 MR. LIN: Yes, that's -- right.

4 MEMBER KIRCHNER: -- SSCs that are  
5 important to reliability of the plant?

6 There is a big difference. Because the  
7 first order, you know, I think most designs -- well,  
8 I shouldn't say this, I guess. But, you know, the  
9 secondary systems can be isolated from the primary  
10 systems, and you can define your important-to-safety  
11 envelope to the first order. It is that, you know,  
12 those primary, NSSS system, or whatever the vendor  
13 calls them, as the things that would be in scope. But  
14 is this meant to have a scope that's broader, to  
15 include the secondary plant, the balance of plant?

16 MR. LIN: Yes. That's why I wish the ASME  
17 Committee would have provided more specific guidance.  
18 I think that the scope, the standard bases, says all  
19 SSCs that can adversely affect plant recent  
20 reliability. So, it's very broad and -- yes. I  
21 actually raised that question with the Committee.

22 MEMBER KIRCHNER: Yes, in that case, then,  
23 the steam generator -- well, that's not a good  
24 example. But, you know, all the rest of the balance-  
25 of-plant, then, comes within the scope, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. LIN: Yes. Yes. So, the philosophy  
2 is, you know, in Division 1 where we have Class 1,  
3 Class 2, and Class 3 -- in RIM, there's really no  
4 classification. It's all SSCs that can impact the  
5 plant safety and reliabilities.

6 DR. BLEY: Well, this is Dennis Bley,  
7 following up on Walt there.

8 Risk certainly is affected by the  
9 reliability of the components. There ought to be some  
10 kind of organization of how important the risk we're  
11 talking about. You know, some of the secondary  
12 systems are quite important; other ones not so much,  
13 but maybe a little. And is it everything that has any  
14 impact or is it just the things that are prominent or  
15 maybe contribute 5 percent or more, something like  
16 that? Is there any quantification of how important a  
17 risk you consider in this process?

18 MR. LIN: Yes, right now, the study itself  
19 doesn't really provide any quantification or specific  
20 requirements. I would imagine this can have some tie-  
21 in with the Licensing Modernization Project, where the  
22 LMPs will help you classify what component is  
23 considered safety-significant; what components are not  
24 safety-significant. And right now, that's not in the  
25 Code. There's no specific guidance other than, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 know, you look at all components that can affect your  
2 plant safety, and then, you identify the component  
3 that they need to swing into the program.

4 DR. BLEY: Okay. Thanks. So, it at least  
5 implies it's the ones that are the most important that  
6 you pick up, or at least first?

7 MR. LIN: Yes. Yes, I wish the Code could  
8 provide more specific requirements and guidance. So,  
9 right now, there's only one paragraph that talks about  
10 the scope, and basically, there wasn't a slide showing  
11 the --

12 CHAIRMAN BALLINGER: Yes, this is Ron  
13 again.

14 I don't think we should underestimate the  
15 significance of Division 2 here. It represents an  
16 opportunity for a very significant change and sort of  
17 reorientation of outlook, if you will, on system  
18 reliability. It's 150 pages long, but Division 1 is  
19 like 600 pages.

20 MR. LIN: Right.

21 CHAIRMAN BALLINGER: Keep going.

22 MR. LIN: Okay. Let's go to the next  
23 slide.

24 So, once the SSC is identified, the next  
25 step is to evaluate all potential degradations that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 can apply to the SSCs. You know, some things to  
2 consider include design characteristics, including  
3 materials; fabrication practice, including welding, or  
4 what can also contribute to or introduce a degradation  
5 mechanism, if it's not properly done.

6 Other conditions to consider include  
7 degradation introduced by operating, and all transient  
8 conditions, including temperature and pressure  
9 excursions.

10 Also, a degradation mechanism based on  
11 plant-specific or industry experience. You also need  
12 to consider including recommendations from SSC  
13 vendors.

14 Again, mandatory Appendix 7 identifies all  
15 the potential degradation mechanisms that are  
16 applicable to various reactor types. Again, many of  
17 the supplements are still under development. And the  
18 criteria that is used to identify and evaluate the  
19 susceptibility of SSCs to degradation mechanisms would  
20 need to be documented in the RIM program  
21 documentation.

22 Next slide.

23 So, the next step in the process is to  
24 identify the plant recent reliability topic for RIM.  
25 Again, this just came out from RIM 2.4.1. The plant-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 level reliability goals are derived, basically, from  
2 the regulatory limits on risk frequencies and  
3 radiological consequences of licensing basis events,  
4 as defined in the PRA.

5 The PRA model is also used to allocate or  
6 to establish SSC-level reliabilities. The RIM  
7 standard, again, doesn't really provide a lot of  
8 detailed guidance on how to go about doing this. It  
9 provides a general post or event in Appendix 2 on how  
10 you divide component reliability from plant safety  
11 requirements.

12 As you can see, the PRA plays a key role  
13 in this step and it is important that the scope and  
14 level of detail in the PRA is sufficient to support  
15 the allocation of SSC reliability targets.

16 In RIM 2.43, it provides the requirements  
17 regarding the technical accuracy and the scope of the  
18 PRA, and it, basically, requires that the PRA needs to  
19 meet the ASME/ANS RA-S-1.4 standards, which is the PRA  
20 standard for advanced non-LWRs.

21 So, step four is, once you identify your  
22 target reliability, the next step is to identify the  
23 RIM strategies that are available to meet the  
24 reliability targets. You know, you can use a single  
25 reliability target -- or strategy I mean, or your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 combination of strategies that's needed to meet the  
2 targets.

3 The strategies could include design  
4 strategies to reduce or eliminate the degradation  
5 mechanism or you can use online leak detection or  
6 perform inservice inspections or repair and  
7 replacements, et cetera.

8 The impact of these RIM strategies on the  
9 reliability target will need to be assessed.

10 Okay. Next slide.

11 So, after selecting the RIM strategies,  
12 the next step is to evaluate the uncertainties. If  
13 there are inherent, very large uncertainties in the  
14 prediction of passive SSC reliability, some of those  
15 uncertainties are plentiful in the allocation of  
16 reliability targets, but the other source of  
17 uncertainties is just difficult to quantify, such as  
18 unknown degradation mechanisms, or just lack of  
19 operating experience.

20 So, to account for some of these  
21 uncertainties, you can implement multiple RIM  
22 strategies over and above what's required in order to  
23 provide additional assurance and, also, provide  
24 defense-in-depth.

25 So, the next step is in advance you have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to program; you implement the program. And prior to  
2 implementing the program, RIM program documentation is  
3 developed. This documentation includes the results  
4 from steps one to five, and includes the scope of the  
5 SSC that is selected for the program; the result of  
6 the degradation assessments; the reliability targets,  
7 and the specific RIM strategies that you selected to  
8 meet those reliability targets.

9 So, this is a very important document, as  
10 you will hear from the later presentation. One of the  
11 conditions in the Regulatory Guide endorsing RIM is to  
12 require submittal of this information to NRC for  
13 review and approval.

14 The other aspect of implementing a RIM  
15 program includes -- some of the items are listed here  
16 -- the inspection intervals. In RIM, the inspection  
17 interval is determined by the RIM Expert Panel. I'll  
18 briefly describe that panel in the next slide. But it  
19 does have a limit of 12 years. The reason for that is  
20 because we want to have a step when they have to  
21 update the programs.

22 For several reasons, inspection is only  
23 done if in some ways the inspection is selected as a  
24 RIM strategy. So, you can have a baseline to start  
25 with.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 RIM may also involve design requirements  
2 to support a select RIM strategy, such as provisions  
3 for an online leak detection system.

4 The other key aspect of the RIM program is  
5 examination and inspection requirements. Again,  
6 there's another Expert Panel that is responsible for  
7 all aspects related to this, and it's the monitoring,  
8 the NDE Panel. So, it's responsible for all things  
9 related to NDE or inspections.

10 Okay. So, the final step in the RIM  
11 program is to put in place a monitoring program that  
12 will monitor the performance of the SSCs within the  
13 program and update the RIM program to account for, for  
14 example, a change in plant design, operations,  
15 operating experience, and results from monitoring and  
16 NDE, to update the PRA, or any other technical input  
17 that you use in the initial RIM program.

18 So, this step is very similar to the risk-  
19 informed ISI program. So, you have to, basically,  
20 continue to monitor your program and update, as  
21 necessary. And the minimum frequency of update is  
22 once per inspection interval.

23 Here, I mentioned there's two Expert  
24 Panels already. They play a key role in implementing  
25 the RIM program. The RIM Expert Panel is, basically,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 responsible for the entire program, responsible for  
2 the technical oversight, and the development and  
3 implementation of the RIM program. So, this panel is  
4 responsible for establishing the RIM scope, the  
5 reliability targets, and identifying the RIM  
6 strategies.

7 The Monitoring and NDE Expert Panel is  
8 responsible for, basically, all things related to NDE.  
9 They're responsible for developing, monitoring NDE  
10 specifications; overseeing the quantification of NDE  
11 methods and techniques.

12 And there are specific requirements in the  
13 Code related to the qualification and who needs to  
14 serve on these panels.

15 Next slide.

16 So, this slide just shows, and the next  
17 couple of slides just walk you through, what's in RIM.  
18 This slide shows the organization of RIM. The  
19 structure is very similar to Division 1, except for  
20 Article RIM-2, which is the RIM program. So, RIM-1 is  
21 scope and responsibility. This section covers the  
22 scope of RIM, the owner's responsibilities, and other  
23 general requirements. It's very similar to Division  
24 1 IWA-1000. As a matter of fact, a lot of the  
25 descriptions will refer back to IWA for a lot of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 requirements.

2 And Article RIM-2 is the RIM program,  
3 which is -- I covered the process.

4 RIM-3 is acceptance standard, and it  
5 refers to Appendix 7 for acceptance standards for each  
6 reactor type.

7 And RIM-4 covers repair and replacement  
8 activities and is done -- essentially, it refers back  
9 to IWA-4000, which is the rules for repair and  
10 replacement activities, with a couple of exceptions.  
11 One is related to preservice inspection, and then, the  
12 other exception is related to pressure testing.

13 And RIM-5, basically, provides rules for  
14 leakage monitoring and leak detections -- retesting.

15 And RIM-6 covers reporting requirements  
16 and is similar to Division 1, IWA-6000.

17 DR. BLEY: Bruce?

18 MR. LIN: Yes?

19 DR. BLEY: RIM-3, is that expected to get  
20 expanded, as people consider different reactor types?

21 MR. LIN: Yes. Well, right now, RIM-3,  
22 basically, refers the user to Appendix 7. Appendix 7  
23 will, basically, have reactor-specific requirements or  
24 reactor-specific acceptance standards. So, for each  
25 reactor type, they'll have their own acceptance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 standards.

2 DR. BLEY: Okay. And I'm assuming that's  
3 not complete and will have to be expanded, if new  
4 types are brought forward.

5 MR. LIN: Right. Right. Right now, only  
6 two reactor types are complete, including the high  
7 temperature gas reactors --

8 DR. BLEY: Uh-hum.

9 MR. LIN: -- and the Gen III or above  
10 light water reactors.

11 DR. BLEY: Okay. Thank you.

12 MEMBER KIRCHNER: Bruce?

13 MR. LIN: Yes?

14 MEMBER KIRCHNER: This is Walt Kirchner.

15 Along those lines of Dennis' question, it  
16 seems to me that -- I'm speculating, to be candid --  
17 that these implements for each reactor type really are  
18 driven by the coolant choice. I mean, the ASME is in  
19 the pressure vessel business, so to speak.

20 MR. LIN: Right.

21 MEMBER KIRCHNER: So, the defining  
22 characteristic probably is a combination of the  
23 coolant type and the temperature-pressure ranges that  
24 are expected for the reactor type. Is that a  
25 reasonable assessment of what's coming for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 supplements? I can't imagine doing a supplement --  
2 you know, you could have someone do one variation of  
3 a molten salt reactor, and someone else do another  
4 variation, but, in general, the pressure vessels don't  
5 know that it's a different reactor. You know what I  
6 mean?

7 If you need to use a pressure vessel of  
8 some kind for a molten salt reactor, it doesn't care  
9 whether it has pebbles in it or not.

10 MR. LIN: Right.

11 MEMBER KIRCHNER: So, is that the way it's  
12 going? Is it more like that or you're trying to go  
13 with the Gen IV and DOE designs that are being  
14 supported?

15 MR. LIN: Yes, I --

16 MEMBER KIRCHNER: It seems to me there  
17 might be an opportunity to make this more technology-  
18 neutral in terms of the details of the reactor design  
19 and focus on what the pressure vessel, boiler and  
20 pressure vessel code is all about, which is  
21 maintaining the integrity of the component, not  
22 picking sides about reactor types.

23 MR. LIN: Right. I think the strategy is  
24 that the RIM process itself is technology-neutral.  
25 You can use the process on any reactor type. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 idea with Appendix 7 is, you know, some of the  
2 degradation mechanism is unique to the reactor design.  
3 Like, for example, you choose different coolant; that  
4 has different degradation mechanisms. So, if you  
5 operate at high temperature, then you maybe have to  
6 worry about creep and other high-temperature  
7 degradation mechanisms.

8 So, Appendix 7 is supposed to have  
9 reactor-specific degradation mechanisms, reactor-  
10 specific evaluation standards, and acceptance  
11 standards that are all based on the unique design,  
12 right? For some of those reactors, they could be  
13 operated at atmospheric pressure. So, it's different  
14 than the traditional requirement for RPVs. So, they  
15 will have their own acceptance standards and unique,  
16 their own lists of degradation mechanisms. It depends  
17 on the reactor type.

18 DR. BLEY: Bruce, this is Dennis Bley  
19 again.

20 We had a session yesterday on Part 53  
21 where we're looking at different approaches. And some  
22 of those approaches, they require principal design  
23 criteria and others they don't.

24 This Reg. Guide is anchored to a set of  
25 advanced reactor design criteria that specifies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 certain kinds of testing that need to be done.

2 I suppose, even if someone uses this new  
3 Part 53 and does not define their own Principal Design  
4 Criteria, that, at least for most of the designs we  
5 expect to see, the ARDC will probably be reasonable.  
6 So, that shouldn't cause a problem. But if some new  
7 reactor type comes in that would require different  
8 design criteria, I guess that changes this whole  
9 process. But that's what the appendices will make  
10 clear, I'm guessing?

11 MR. LIN: Right. I mean, I think, like I  
12 said, the process itself is very technology-neutral.  
13 I would imagine each reactor vendor or designer would  
14 have to go through the process and develop their own  
15 unique RIM program. You know, maybe for one reactor,  
16 it's reasonable to inspect every five years, but they  
17 may not incorporate for other reactor designers for  
18 the same components, because they operate in a  
19 different environment. So, I think each reactor  
20 design, a unique design, will probably have their own  
21 unique RIM program.

22 DR. BLEY: Okay. Thanks.

23 I guess, for Dave, if you're on the line,  
24 we had that discussion yesterday about not needing  
25 principal design criteria. Well, here we're bumping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 into a place where you need almost the equivalent to  
2 come out of the process, to be able to use this Reg.  
3 Guide and the new standard. So, something to think  
4 about.

5 MEMBER PETTI: Yes. No, I think that may  
6 have just been almost semantic. I still think Part 53  
7 requires design criteria. They used the word  
8 "principal" because it was tied back to 50 or 52.  
9 But, yes, your point is noted.

10 MEMBER KIRCHNER: Well, Dave, this is  
11 Walt.

12 Given the importance of reliability to  
13 support the PRA results through the life of one of the  
14 plants that goes through the LMP process in 53, do you  
15 see this being invoked directly by 53, or it would be  
16 through guidance?

17 MEMBER PETTI: I mean, right now, probably  
18 guidance. And what's in there, you know, is  
19 acceptable codes and standards, right?

20 MEMBER KIRCHNER: Yes.

21 MEMBER PETTI: And this is one that's been  
22 accepted by the staff.

23 MEMBER KIRCHNER: Yes. I'm just trying to  
24 think through the wording in 53. Is there any  
25 requirement for a reliability program to support the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 PRA through the life cycle of the plant?

2 MEMBER DIMITRIJEVIC: Walt, do you have a  
3 draft? This isn't connected to the passive  
4 components. So, let's sort of like step back a  
5 little. You know, the passive components, you know,  
6 like if it's related to risk-informed ISI, which I'm  
7 very familiar with, that is related to just the  
8 typings of the different class, which are usually not  
9 in the PRA directly, but can be connected to the  
10 active components. Several of the passive components,  
11 like a check-well, is added in the PRA. This is  
12 limited. Most of those things can cause initiating  
13 events, and from that perspective, you know, like  
14 steam line breaks, feedwater line breaks that lock.

15 So, the active components, which most of  
16 the PRA consists of, are in the RAP program. I mean,  
17 that's in the FSAR. You know, it would be part of the  
18 ITAAC items.

19 MEMBER KIRCHNER: Yes, I get that, Vesna.  
20 I was just trying to think through. So, say, you  
21 know, this program is to actually maintain the  
22 reliability, so that you don't challenge the  
23 assumptions. But, you know, from the PRA standpoint,  
24 don't you look at the possibility -- I mean, an  
25 initiating event would be a break in a passive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 component.

2 MEMBER DIMITRIJEVIC: Yes, that's true.  
3 But, you know, you have ITAAC items which cover  
4 testing, inservice inspections, the RAP program, which  
5 is directly connected reliability. It has the same  
6 panels that's already part of the FSAR.

7 MEMBER KIRCHNER: Right. No, I understand  
8 that. I'm just thinking -- I'm trying to think  
9 through the life-cycle impact of doing this.  
10 Basically, it's there to ensure that --

11 MEMBER DIMITRIJEVIC: Well, currently, you  
12 have (audio interference) actions. You have intent,  
13 yes, testing the valves, which are part of ITAAC.  
14 Currently, all the plants, almost all the plants in  
15 like the states are doing risk-informed inservice  
16 inspections.

17 So, I mean, you know, I don't think we  
18 have to worry will that be covered. You know, that's  
19 what I was trying to respond to your question. It's  
20 a part of the ITAAC problem, yes.

21 MEMBER PETTI: I think the place to look  
22 will probably be in TCAP and RCAP, where commitments  
23 are made. I don't know which one; I don't recall.  
24 But that's, you know, that's basically the content of  
25 applications. It's somewhere in there the applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 would commit to this kind of program.

2 MEMBER KIRCHNER: Would this -- Dave, I'm  
3 also thinking through. We didn't do Subpart F  
4 yesterday. But would this show up in operations?

5 MEMBER PETTI: It might. I just don't --  
6 I don't remember. I don't recall in Subpart F if this  
7 is touched on. I'd have to go back and look.

8 MR. PHILPOTT: Good morning.

9 This is Steve Philpott. I'm a Project  
10 Manager in DANU. I'm going to be your next speaker.

11 But I would just add in that part, there  
12 is a section in Part 53, in the preliminary proposed  
13 rule language -- and I'm not sure what subpart it is;  
14 in operations I believe, 53.870 -- that would include  
15 a requirement for integrity assessment programs. And  
16 so, this lines up well with some of that language now.  
17 It would be a way of, you know, a method for  
18 addressing that section.

19 MEMBER KIRCHNER: Yes, that's what I was  
20 thinking. Thank you.

21 MEMBER PETTI: Yes. Okay. Thanks.

22 MR. PHILPOTT: And there is also, in the  
23 RCAP program that you're referring to, there is an ISG  
24 that we're working on developing to release that is  
25 specific to inservice inspection and inservice testing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 both. It covers both LWRs and non-LWRs.

2 And that also, for the non-LWR ISI portion  
3 of that, it does refer to RIM as a method to address  
4 the information in the application.

5 MEMBER KIRCHNER: Great. Okay. Thank  
6 you.

7 MR. PHILPOTT: Sure.

8 CHAIRMAN BALLINGER: This is Ron again.

9 The industry has been bound by Section XI,  
10 Division 1, from the beginning. But, as a practical  
11 matter, within Division 1, the inspection regimes, the  
12 use of risk information, and all of that, has evolved  
13 to the point where they don't call it RIM, but, in  
14 effect, that's what the industry has been doing for  
15 the last 10 or more years.

16 And so, it's not that big a jump, as a  
17 practical matter, from Division 1 to Division 2. And  
18 I look at it as Division 2, while it's applicable to  
19 non-light water reactors, and everything, it's an  
20 outgrowth of the, if you want to call it, lessons  
21 learned from dealing with Division 1 and the  
22 degradation in our systems.

23 Maybe that's a simplistic way of looking  
24 at it, but, you know, I look at this as, basically, a  
25 codifying of what, in effect, people have been doing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 all along, or evolved to be doing now in the light  
2 water reactor business.

3 MEMBER KIRCHNER: I think you got it  
4 right, Ron.

5 MEMBER PETTI: Yes, I think that's right.  
6 The biggest difference is the materials are different;  
7 the service conditions are different. So, the damage  
8 mechanisms are different. And so, that may in the  
9 details change, you know, the nature of the  
10 inspection. You know, what you look for and how you  
11 look for it might change because of all of those  
12 things.

13 CHAIRMAN BALLINGER: Yes.

14 MEMBER PETTI: But, at a higher level, I  
15 agree with you, yes.

16 CHAIRMAN BALLINGER: I mean, this is,  
17 basically, a codified way of doing, what I would call  
18 in the information theory business, surprise.

19 MEMBER DIMITRIJEVIC: But this is very  
20 important to the monitoring program because, you know,  
21 when you start those inspections, you can discover  
22 degradation mechanisms which you didn't really  
23 anticipate. So, for this new-type monitoring program  
24 for that, new degradations are very important.

25 CHAIRMAN BALLINGER: Yes, in our business,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 surprise has cost us a lot of money.

2 Okay. Could we keep going? This is very  
3 good discussion, actually.

4 MR. LIN: So, I think this is my last  
5 slide.

6 RIM also has seven non-mandatory -- or  
7 mandatory appendices and two non-mandatory appendices.  
8 I'm not going to go through the list, but I'll just  
9 mention a few that I haven't talked about.

10 Like Appendix 4, Monitoring NDE  
11 Qualifications, basically, provides requirements for  
12 qualification of monitoring NDE methods and addresses  
13 qualification of NDE personnel, procedures, and  
14 equipment.

15 Appendix 6, the qualifications and  
16 requirements for the RIM Expert Panel.

17 Again, the big appendix is this Appendix  
18 7, which is a supplement for the type of nuclear  
19 plant. So, right now, the Code itself has a  
20 placeholder for six different reactor types and two  
21 have been developed. As I mentioned before, high  
22 temperature gas reactors and Gen III or above light  
23 water reactor supplements are done. The others are  
24 under development.

25 And two non-mandatory cover alternative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 requirements NDE and monitoring and, basically,  
2 administrative requirements for --

3 DR. BLEY: Can you tell us anything about  
4 that Appendix A? What kind of alternatives are they  
5 talking about?

6 MR. LIN: Appendix A, basically, provides  
7 a process that you can go through to use different NDE  
8 and monitoring techniques. I tried to figure it out,  
9 because I think this is that there is a code case that  
10 was issued before RIM was published, and this Appendix  
11 A, basically, is that code case. It provides, it  
12 tells you how you go about doing probabilistic  
13 assessment to develop different NDE methods. To me,  
14 it's really no different than what's in RIM. I don't  
15 know why it's in the non-mandatory appendices.

16 (Laughter.)

17 DR. BLEY: Okay.

18 MR. LIN: It's, essentially, it's part of  
19 the RIM. It could be part of the RIM process that you  
20 can go through and using different RIM strategies. It  
21 was put in there, I think, from what I understand --  
22 and I wasn't involved with the development of the code  
23 -- there was a code case. I think it was code case  
24 875 was issued before RIM was accomplished, and the  
25 information from the code case got put into this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Appendix A.

2 DR. BLEY: Okay. Thanks.

3 MR. LIN: Okay. So, I think that's it,  
4 and I'll turn it over to Steve Philpott to discuss the  
5 staff review of the RIM standard and the Regulatory  
6 Guides.

7 MR. PHILPOTT: Okay. Well, thank you,  
8 Bruce.

9 As Bruce mentioned, my name is Steve  
10 Philpott. I'm a Project Manager in the Division of  
11 Advanced Reactors and Nonpower Production Utilization  
12 Facilities. I was the Lead Project Manager for most  
13 of the review of RIM.

14 I'm thankful and excited to be here to  
15 give you an overview. My goal here is to give you an  
16 overview of the review process and the review that we  
17 did, but, mostly, give you a summary of what the Reg.  
18 Guide is; how it's structured, and touch on some of  
19 the conditions, and a summary of the public comments  
20 that we received when we issued the Draft Guide, and  
21 how we resolved those. We'll step through it for you  
22 here.

23 So, go ahead and go to the next slide,  
24 please.

25 So, a little bit about the background of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 RIM and our review. ASME sent a letter to the NRC and  
2 requested that NRC endorse RIM, the Standard XI,  
3 Division 2, in October of 2091. And they specifically  
4 asked that we endorse it via 50.55a.

5 We put some staff together to start  
6 reviewing it and met with our NRC Design and  
7 Inspection Steering Committee in both the spring and  
8 summer of 2020. After we had some time to review it,  
9 it went to them with recommendations.

10 We recommended, and the decision was made,  
11 to not endorse by 50.55a, because that would require  
12 the use of RIM, typically, if we encoded it in 50.55a,  
13 which we did not think was appropriate at this stage.  
14 But, rather, we formed a working group to endorse it  
15 via a Reg. Guide, as to make it an option for  
16 applicants to use, applicants and licensees. So, I'll  
17 talk about that a little bit further in the  
18 presentation when we get into some of the public  
19 comments.

20 So, we responded; we formed a review  
21 working group, and we responded to ASME. Once we  
22 decided to go ahead and review it for endorsement via  
23 a Reg. Guide, we sent a letter back to ASME and  
24 responded in August of 2020.

25 That working group that we developed was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 made up of a team of experienced NRC staff in  
2 Component Integrity, Inspection Testing, Codes and  
3 Standards, and PSI and ISI programs, and that included  
4 some senior technical staff from the DANU Division,  
5 the Division of Advanced Reactors, as I mentioned --  
6 I'm just going to use that DANU acronym for the rest  
7 of the way -- as well as, as you saw from Bruce, from  
8 the Office of Research and their Division of  
9 Engineering. We had staff from Region II and Region  
10 IV included in the working group with experience in  
11 inspections, inservice inspections, and testing, as  
12 well as other Divisions in NRR as well, the Division  
13 of Engineering there as well. And at times throughout  
14 the review, we also consulted with other senior  
15 technical staff in the Division of New Reactor  
16 Licensing and some of the senior advisors in Research  
17 as well.

18 I guess one point to note is we had one of  
19 our senior staff, along with Bruce, who I definitely  
20 would consider an expert, we had, also, a Senior  
21 Mechanical Engineer, Tim Lupold, who was our NRC  
22 representative on the ASME Working Group for the  
23 Development of RIM. He was also a lead technical  
24 reviewer and did a lot of heavy lifting and worked  
25 with us. He recently retired. So, we got to use his

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 skills and his expertise right up until the end, and  
2 even through the comment resolution period.

3 Oh, and I should also mention that the  
4 Office of General Counsel, you know, while not part of  
5 the working group, we did get a lot of effort and a  
6 lot of good support from OGC, as we worked through  
7 some of kind of the unique licensing aspects of this  
8 as well and working through the comment resolution as  
9 well. So, we're definitely appreciative of that as  
10 well.

11 So, we, then proceeded to conduct a  
12 review, a very thorough, detailed review of Section  
13 XI, Division 2, for this, developing the Reg. Guide  
14 for endorsement. And we specifically did this review  
15 for applicability to non-light water reactors, as that  
16 was the near-term need that we saw. The light water  
17 reactors are required to use 50.55a, or under 50.55a,  
18 are required to use Division 1. And frankly, where we  
19 saw the most immediate need was in the non-light water  
20 reactors.

21 DR. BLEY: So, a quick question about  
22 that.

23 MR. PHILPOTT: Yes? Uh-hum.

24 DR. BLEY: The Reg. Guide is specific to  
25 non-light water reactors. The standard itself,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           though, is not, is that correct?

2                       MR. PHILPOTT:   That's correct.

3                       DR. BLEY:    Okay.

4                       MR. PHILPOTT:   The standard is written to  
5           be   technology-neutral   and   to   apply   across  
6           technologies.   That was a strategic decision at the  
7           beginning, that we were going to focus our review on  
8           the non-light water reactors.   So, it is specifically  
9           endorsing it for non-light water reactor applications.

10                      And, you know, that may change over time,  
11           but at this stage, you know, I think you were alluding  
12           to before, RIM is very much a paradigm shift, right?  
13           It's a big shift from Division 1.   And so, you know,  
14           I think we see this as an exciting win moving forward  
15           for these non-light water reactors in terms of being  
16           able to provide this as an option for the non-lights.  
17           We understand that --

18                      MEMBER KIRCHNER:   This is Walt Kirchner.

19                      MR. PHILPOTT:    Yes.

20                      MEMBER KIRCHNER:    But, if I understand  
21           correctly, of the two supplements in place, one is for  
22           advanced LWRs.

23                      MR. PHILPOTT:    The two supplements?   I'm  
24           sorry, are you talking about Appendix 7?

25                      MEMBER KIRCHNER:    Yes, in the actual --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. PHILPOTT: In the RIM, the Appendix 7,  
2 where they have the plant-specific criteria, yes. One  
3 of them is for LWRs, and another one -- several of  
4 those are blank, right, they're yet to be developed.  
5 There is one --

6 MEMBER KIRCHNER: No, I understand that --

7 MR. PHILPOTT: yes.

8 MEMBER KIRCHNER: -- but I don't  
9 understand why you're restricting it. Is this  
10 viewgraph accurate of what you're -- are you only  
11 endorsing it for non-LWRs?

12 MR. PHILPOTT: We are only endorsing it  
13 for non-LWRs, yes, that is correct.

14 MEMBER KIRCHNER: Why is that?

15 MR. PHILPOTT: Well, primarily because  
16 50.55a(g) requires a light water reactor applicant to  
17 use Division 1 in that paragraph of 50.55a. So, a  
18 light water reactor, by regulation, is required to use  
19 Division 1.

20 Now, we understand that, for some advanced  
21 on the light water side, that this could be -- that  
22 Division 1 would be very difficult to apply for some  
23 of the advanced light water reactors that we see  
24 coming down the road. And they do have an option to  
25 use RIM, but they would have to use the exemption

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 process to do that, because of the requirement in  
2 50.55a. And we understand that that may happen.

3 So far, we're not seeing a lot of interest  
4 yet from the LWRs. So, we focused our efforts on  
5 endorsing this for non-light water reactors. We do  
6 understand that there may be some future light water  
7 reactors that do want to use it, and we do know of  
8 one, in particular, that does, but their process to do  
9 that would be through an exemption from 50.55a(g), and  
10 then, we do a plant-specific review in that case.

11 DR. BLEY: This is Dennis again.

12 MR. PHILPOTT: Uh-hum.

13 DR. BLEY: The ASME asked you to review it  
14 under part of the regulations where it can't fit  
15 unless you change the regulation, basically, is the --

16 MR. PHILPOTT: Right.

17 DR. BLEY: Okay. So, you would have had  
18 to do a change to the reg to do that and make it  
19 applicable.

20 MR. PHILPOTT: That's correct.

21 DR. BLEY: Nothing in your review would  
22 have precluded LWRs from using this, except for the  
23 regulation?

24 MR. PHILPOTT: Right. Yes. And I think  
25 that's, generally, safe to say; that's generally true.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 I mean, nothing that -- no, there was nothing that  
2 stood out in our review that would specifically  
3 exclude LWRs. It's just we did not review it with  
4 that focus, and it primarily is the regulation, yes.

5 We would have to do a rulemaking effort to  
6 modify the regulations. You know, we did consider  
7 that during the review period, you know, different  
8 rulemaking options. But, ultimately, we decided, when  
9 we went back to the Steering Committee and the  
10 Management Oversight Committee, we did decide that  
11 that was not the appropriate pursuit at this point,  
12 given the level --

13 DR. BLEY: I'm just curious. Has anyone  
14 requested a rulemaking on this issue to include it for  
15 LWRs?

16 MR. PHILPOTT: Yes, actually. And  
17 actually, I'll touch on that briefly when we get to a  
18 few --

19 DR. BLEY: Okay.

20 MR. PHILPOTT: -- slides later in some of  
21 the comments.

22 DR. BLEY: Fine.

23 MR. PHILPOTT: Yes. And, yes, I neglected  
24 to mention, in terms of the review group that we did  
25 and the working group, we did also guide and meet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 frequently -- as part of the project plan for this  
2 review, there was an established Management Oversight  
3 Group at the Branch Chief level that we would meet  
4 with on a frequent basis and provide updates, and were  
5 guided by some of our decisions that way. And then,  
6 we did periodic followups with the Steering Committee  
7 on some of the key decisions as well. So, we worked  
8 through all those type of questions and issues in  
9 those meetings.

10 CHAIRMAN BALLINGER: This is Ron Ballinger  
11 again.

12 I mean, again, there's a regulatory fence  
13 between the two --

14 MR. PHILPOTT: Uh-hum.

15 CHAIRMAN BALLINGER: -- Division 1 and  
16 Division 2, but, as a practical matter, within  
17 Division 1, the industry has been doing or evolved to  
18 doing what is, in effect, a lot of it is in Division  
19 2.

20 So, an exemption request would probably be  
21 pretty easy.

22 MR. PHILPOTT: It may be. I mean, I guess  
23 it remains to be seen. But, yes, we understand that,  
24 clearly, some of the new light water reactors,  
25 Division 1 is not going to be their preferred path,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 right?

2 CHAIRMAN BALLINGER: Yes.

3 MR. PHILPOTT: But you're right, we're  
4 going to have to review that through the exemption  
5 process in this case.

6 And that could evolve -- you know,  
7 obviously, the regulatory framework for this could  
8 evolve; I expect it probably will evolve over time,  
9 right? We were reviewing this based on this submittal  
10 and kind of our view of the landscape at the time that  
11 we conducted this review.

12 But RIM is, you know, as I think you've  
13 kind of seen, there's still a lot of development to  
14 do. We don't have any experience with plants using  
15 RIM or submitting RIM programs to us, obviously. So,  
16 over time, we do expect to try to gain, you know, to  
17 hope to gain more of that experience and see what's  
18 involved, and see how it could be applicable  
19 otherwise.

20 Okay. I think we can go to the next  
21 slide.

22 Okay. So, this just kind of provides a  
23 timeline of the work that we did. Not a lot of  
24 details to share with you here, but, essentially, once  
25 we formed that working group from that early initial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 stage, August to December of 2022, we did an initial  
2 review with the working group and developed our  
3 initial staff positions.

4 And the focus there was to do a first cut,  
5 and we confirmed that information in the Code was  
6 adequate and it was appropriate to be endorsed. We  
7 certainly identified some areas that would likely  
8 require conditions, which we did end up having, but we  
9 went back to the Steering Committee at that point and  
10 received the decision to move forward with a more  
11 detailed review and focus on endorsing it via the Reg.  
12 Guide.

13 So, in 2021, most of the first nine months  
14 of 2021 is when we did the detailed review, went step  
15 by step through each of the positions and paragraphs  
16 within RIM. Reached out to other technical experts in  
17 the agency, and as I mentioned Tim Lupold was on the  
18 working group with RIM development. So, during  
19 meetings with that working group, he was able to reach  
20 back out to them to help get answers to questions and  
21 things that weren't clear to us, as we did that  
22 initial review. So, all that.

23 We developed the Reg. Guide, Regulatory  
24 Guide, in that time period, and then, we published it  
25 for public comment right near the end of September

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 2021. And we published it with a 45-day comment  
2 period. And since that point, since November, we've  
3 been working on the comment resolution and finalizing  
4 the Regulator Guide.

5 We are on track to publish it. It's ready  
6 to go. For the most part, we've got that it will now  
7 be published in June of 2022.

8 As Michelle mentioned in her opening  
9 remarks, it's tied into, there is some reference in  
10 the Reg. Guide to conditions in Section XI, Division  
11 1, the 2019 edition. So, in order to not get ahead of  
12 that, we are waiting for the rulemaking to be  
13 finalized for Division 1 to be incorporated. So, this  
14 will be published as soon as that rulemaking is  
15 finalized.

16 Okay. Next slide, please.

17 This is just a brief overview of the  
18 structure the Reg. Guide. I think this is pretty  
19 standard for Reg. Guides. So, I just kind of point it  
20 up here to note a few points about the way the  
21 Regulatory Guide is laid out. And these are the main  
22 points I just want to make.

23 Section A, obviously, addresses the  
24 purpose of the Regulatory Guide, which describes an  
25 acceptable approach for the development of an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 implementation of a PSI and ISI program for non-light  
2 water reactors by endorsing this.

3 The other point of that to note here is it  
4 also describes a method that applicants can use to  
5 incorporate their preservice inspection and inservice  
6 inspection programs into a licensing basis. So, I'll  
7 touch on that a little bit later.

8 But the main point there is the current  
9 regulations in 50 and 52 don't specifically call out  
10 a requirement for a non-LWR to have an inservice  
11 inspection program. So, they do, in content of  
12 applications sections, they do mention needs for  
13 periodic testing of structures and maintenance and  
14 surveillance, and that sort of thing.

15 But the license condition, again, this is  
16 an area that we worked with OGC quite a bit and  
17 determined that the best way at this point to make  
18 sure that an inservice inspection program is part of  
19 an non-LWR license basis was to include a license  
20 condition with the application. And the Reg. Guide  
21 provides a sample license condition that an applicant  
22 can use to do that.

23 It addresses the applicability very  
24 briefly. Of course, as I mentioned, it's specifically  
25 applicable to non-LWR applicants or licensees for an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 operating license or a combined operating license  
2 under Parts 50 and 52.

3 This is one of the guidance documents, one  
4 of several that will eventually support Part 53, when  
5 that becomes final, but, again, it's one of the many  
6 documents that will be reviewed for conforming changes  
7 and updates to make it applicable to Part 53 as well,  
8 when we get to that stage in the Part 53 process.

9 We touched on the applicable regulations  
10 and related guidance. As I started to mention, the  
11 current regulations don't specifically mandate an ISI  
12 for non-LWRs. There's 50.34 and 52.79 sections in the  
13 content of applications that require those  
14 applications to include plans for conducting normal  
15 operations, including maintenance accounts, periodic  
16 testing of structures, systems, and components.

17 The Reg. Guide gets into a discussion of  
18 the General Design Criteria -- it's Appendix A of Part  
19 50 -- and how those can be adapted or can provide some  
20 guidance for non-light water reactors or reactor  
21 designs other than the light water reactors.

22 And then, we do point out, and the Reg.  
23 Guide includes, a bit of discussion on Reg. Guide  
24 1.232, which is guidance for developing the Principal  
25 Design Criteria for the non-light water reactors. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 then, the Reg. Guide spells out a number of the  
2 applicable ARDCs, Advanced Reactor Design Criteria,  
3 that relate to SSC testing and provide some basis for  
4 this approach.

5 So, Section B provides a lot of the  
6 background of how we developed the regulatory basis  
7 for it. It, again, discusses that, what I just  
8 mentioned, in terms of the regulations in more detail;  
9 the fact that they prescribe specific preservice and  
10 inservice inspection only for boiling and pressurized  
11 water reactors, and it goes through that discussion  
12 and develops that process.

13 It highlights several of the ARDCs, as I  
14 mentioned, from Reg. Guide 1.232 that reflect the  
15 importance of inspection. It briefly summarizes the  
16 RIM process for developing a PSI and ISI program, and  
17 again notes the purpose and scope of the staff's  
18 review.

19 And then, the bases, kind of the meat of  
20 the Reg. Guide is the bases for the NRC staff's  
21 positions. So, that part goes through the staff's  
22 positions or the staff regulatory guidance or the  
23 conditions for the use of RIM. And it goes through in  
24 detail each of those conditions and provides the  
25 background of the staff's review and the reasoning for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 those conditions. There are 15 conditions overall in  
2 the Regulatory Guide, and I'll get to those as well.

3 Section C, it is the more brief, concise  
4 listing of the specific conditions or guidance  
5 positions.

6 Okay. Next slide, please.

7 And I apologize, I'm a little under the  
8 weather today. So, I'm going to sip some water from  
9 time to time as we go.

10 Okay. The Regulatory Guide conditions.  
11 Just as I mentioned, there are 15 conditions total  
12 listed within the Regulatory Guide. Many are, I would  
13 say some are just maybe minor or more kind of focused  
14 and more specific, not maybe as significant. So, I  
15 don't intend to go through all 15, but we'll do a bit  
16 of an overview and a summary. And I do have, the next  
17 slides, I do list what those are in general.

18 But, starting with Condition 1, was the  
19 first one, and this is where we provide two things.  
20 Condition 1 does two things. It calls out the need  
21 for the license condition. It mentions that  
22 applicants intending to use RIM should use a license  
23 condition. And as I mentioned, it gives you an  
24 example of a license condition they can use.

25 Secondly, it identifies the information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 that should be included with their application as an  
2 initial application. So, this is when they're coming  
3 in with their initial application and to describe  
4 their RIM program.

5 So, in order to support our finding that  
6 they meet those 50.34 and 52.79 content of application  
7 requirements, we ask them -- in the Reg. Guide, it  
8 provides a list of -- a review summary of the RIM  
9 program, and it gives some specific examples of what  
10 that should include: things like listing of the SSCs  
11 that are in the RIM program. We ask them to describe  
12 the methodology for establishing the reliability  
13 targets; the methodology for determining that the  
14 reliability targets will be satisfied by the  
15 registered strategies. So, we ask them to identify  
16 what those reliability targets are, things like flaw  
17 evaluation acceptance criteria, et cetera. So, that  
18 all would be included in their initial summary of RIM.

19 And then, there's a number of other  
20 requirements that, as we've gone through the review,  
21 are highlighted in the specific conditions throughout  
22 the rest of the particular sections, where there are  
23 certain things that we ask them to provide. So,  
24 things like qualification and certification programs  
25 and justification for their PRA, et cetera. Any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 alternatives that they're taking to actual Section XI,  
2 Division 2, we would like them to identify that in the  
3 application.

4 Condition 4 is where we address any  
5 changes to a RIM program after they've had their  
6 program submitted to us and it's been reviewed and  
7 approved by the staff. In Condition 4, we talk about  
8 they can make changes to their program without  
9 identifying or without notifying us, but we list some  
10 specific areas where we do require submittal to the  
11 NRC for review and approval. So, there are some  
12 things that we ask them to provide for review and  
13 approval; other things that should be submitted to the  
14 NRC just for information that we can follow up on, if  
15 needed.

16 For review and approval, this focuses on  
17 things like changes to the methods to establish the  
18 reliability targets and the methods that they use to  
19 demonstrate that the reliability targets will be met;  
20 any other alternatives to the Code. Again, if they  
21 want to implement a new alternative to the Code, they  
22 need to send that to us for review and approval. Any  
23 changes involving alternate examination methods would  
24 need to be submitted for review and approval as well.

25 And then, things like submitting for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 information or Owner's Activity Report forms submitted  
2 to us, and then, the Reg. Guide talks about the  
3 periodicity for that, and things like that, and a few  
4 other things.

5 One other one I wanted to highlight is  
6 Condition 10. It's not necessarily a real  
7 technically-significant condition, or I would say not  
8 a lot of background meat to it, but I just wanted to  
9 note that there are provisions in RIM that are listed  
10 as "in the course of preparation or otherwise under  
11 development." And this largely refers to the  
12 technology-specific or plant-specific appendices.

13 And so, we make a note or condition in  
14 there that, obviously, if someone is coming in with a  
15 RIM program, and the 2019 standard listed as "in the  
16 course of preparation and development," we need the  
17 applicant to develop that information and provide it  
18 to us for review.

19 Next slide, please.

20 So, the next couple of slides, I list  
21 briefly the other conditions. Again, there's 15 of  
22 them. I don't think we need to go through them all in  
23 detail. Some are more minor and relatively minor.

24 One, the top one is we want them to use,  
25 if they're using the 2019 edition of RIM, they should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 use that and correspond with the 2019 edition of  
2 Section XI, Division 1. Or, basically, if they go to  
3 a future edition of RIM, it needs to be the  
4 corresponding edition of Division 1.

5 Another one is ANDE. For personnel  
6 qualification, RIM mentions or includes use of ANDE-1,  
7 which is not an approved qualification standard yet by  
8 the NRC. So, we did have to make a note that it's not  
9 approved yet at this point. Let's see. And that  
10 condition does identify the NRC-approved standard, the  
11 CP-189, as well as the standard for performance  
12 demonstration that is approved by the NRC.

13 Things like not overriding the  
14 construction code by using RIM. Because RIM would  
15 prevent or -- sorry -- would permit using some  
16 alternate examinations methods in lieu of the  
17 examination requirements specified in the construction  
18 code. So, we wanted to make sure that they are not,  
19 in their use of RIM, they are not overriding the  
20 construction code that's approved for that.

21 Next slide, please.

22 Again, a few more high-level ones,  
23 summaries. Again, these are some of our more minor,  
24 even some minor editorial errors that we noted in the  
25 standard; we included that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Preservice inspection for repair and  
2 replacement, the timing. RIM lacked information  
3 related to the timing for completion of the preservice  
4 examinations that may be needed due to activities such  
5 as repair and replacement, modifications that may add  
6 components or changes that may add existing components  
7 into the scope. So, those weren't specifically called  
8 out in terms of needing preservice inspection before  
9 going into service. So, we noted that there.

10 Another, stress relaxation credit was a  
11 degradation mechanism that we felt should be  
12 considered after discussing with the technical experts  
13 within the NRC as well.

14 Okay. Next slide, please.

15 Okay. So, moving on, I want to just give  
16 you a summary of the public comments that we had, and  
17 some of the revisions that we made to the Regulatory  
18 Guide, based on those comments.

19 We did receive comments from eight  
20 distinct comment submissions or submitters, and that,  
21 all told, it was approximately 35 individual comments.  
22 We say, "approximately" because some of them were kind  
23 of broad and, you know, sending in information just  
24 for consideration; didn't actually have an actual  
25 suggestion or recommended change to them. So, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 some of them were fairly lengthy, but, roughly, there  
2 were about 35 individual comments that we had to  
3 address or we addressed.

4 And we received some very good comments.  
5 Some of those commenters, they came from  
6 representatives of industry. Three of them came from  
7 people who were contributors to the development of  
8 RIM, as well as some retired industry, and even one  
9 retired NRC member.

10 Like I said, many of those comments led to  
11 some good clarifications in the document that I'll  
12 describe for you here in the next couple of slides.

13 We reviewed the comments very carefully  
14 one by one; went through; you know, in some cases,  
15 again, went back and consulted with some of our senior  
16 technical advisors, and then, also had very good  
17 discussions with OGC support to work through the  
18 changes to the Reg. Guide as well.

19 We did not eliminate or add any conditions  
20 as a result of the comments. And lastly, we did  
21 clarify some of the -- the highlights of the things we  
22 clarified are the applicability, because we did  
23 receive a number of comments on the applicability, as  
24 well as some of the information to be submitted for  
25 review, and some of the other staff positions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           Okay. Next slide, please.

2           So, on the next few slides, which are my  
3 last few slides, I'm just going to highlight some of  
4 the main public comments that we addressed and some of  
5 the changes that we made, based on those comments.

6           The first one is really the biggest one.  
7 The main one that was most significant was we had four  
8 of the comments suggested that the Regulatory Guide  
9 should be revised to allow LWRs to use RIM. Or a  
10 different twist on this same theme, the same idea, in  
11 some cases, they said the Reg. Guide should explain  
12 the regulatory paths for light water reactors to use  
13 RIM.

14           As I kind of mentioned, well, did mention  
15 before, light water reactors are required to use, in  
16 accordance with 50.55a(g), they are required to use  
17 Section XI, Division 1, for inservice inspections.  
18 So, you know, the bottom line is it was not  
19 appropriate for the Regulatory Guide to address means  
20 for light water reactors to counter the actual  
21 regulation that's in place. So, we do agree that RIM  
22 was developed for any type of reactor design, but we  
23 don't, in this Regulatory Guide, we don't take a  
24 position on the technical adequacy of RIM for light  
25 water reactors, is essentially what we commented in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the commenter response.

2 And we did not review this standard for  
3 light water reactors. So, again, we just reconfirmed  
4 that the applicability for this Regulatory Guide is  
5 for non-light water reactors.

6 Addressing light water reactors and  
7 including information about a process for light water  
8 reactors to use it, whether it's through exemptions or  
9 alternatives, would be outside the scope of the  
10 Regulatory Guide. However, we did include a footnote,  
11 which I've listed here for you, just acknowledging  
12 that we understand that RIM is developed for any type  
13 of reactor design. Again, we state -- you see the  
14 language there -- we state the reasoning why this  
15 Regulatory Guide does not address light water reactors  
16 in the applicability, and we identify the exemption  
17 process as the path that they could use.

18 Okay. Next slide, please.

19 In this one, I just wanted to highlight --  
20 like I said, several of the comments did provide,  
21 particularly from the developers of RIM, did provide  
22 some good clarifications that we considered and that  
23 did result in some clarification changes in how we  
24 mention, for example, Position 1, which, again,  
25 discusses all the information that we ask them to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 submit as part of the initial application. We did  
2 make some changes to provide more clarity on what  
3 we're looking for, and we did get some good  
4 suggestions.

5 So, things like listing of the SSCs; in  
6 particular, SSCs included in the scope of the RIM,  
7 where previously we just asked for kind of the basis  
8 of the scope. You know, kind of clarifying on how  
9 certain factors are considered in use of the RIM  
10 strategies. We clarified the justification for flaw  
11 evaluation acceptance criteria, temperature limits.

12 And then, there were some clarifications  
13 that we made that applied to both Position 1 and  
14 Position 4. They rightly noted that there's no need  
15 for this NIS-2 form, which is, basically, a completion  
16 of repair and replacement activities. It doesn't  
17 include specific information that would be helpful  
18 that is not already covered, or would be covered, in  
19 the OAR, the Oversight Activity Report. So, we agreed  
20 no need. We took out reference to that.

21 Someone rightly pointed out that we  
22 previously had a reference to a refueling outage, and  
23 we changed that. Obviously, they made the point that  
24 some advanced reactors won't have refueling. So,  
25 that's more of a terminology clarification there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1                   Okay. The next slide, please.

2                   Okay. Position 5, this one relates a bit  
3 to -- well, we did add a clarification for the use of  
4 CP-189 for qualification and certification of NDE  
5 personnel. We added the caveat that any conditions  
6 that are listed in 50.55a(b)(2) should be applied for  
7 that use, and that made sense.

8                   This came in, this comment tied in with --  
9 we did receive several or a few comments that related  
10 to they wanted the Reg. Guide to provide a path or  
11 allow the use of ANDE-1 for NDE personnel  
12 qualification. That is a standard that we've been  
13 following and working with the developers there, but  
14 that is not a standard that we feel is sufficient to  
15 be approved by the NRC yet at this point. So, we  
16 disagree with the comment that this should include  
17 guidance on how to get approval for use of ANDE-1 at  
18 this stage.

19                   So, the Reg. Guide does, again, clarify  
20 specifically the standards that we have that are  
21 approved for Division. We did include the comment  
22 that we don't see -- personnel qualification is not  
23 technology-dependent. So, if ANDE-1 later gets -- in  
24 the comment resolution; we didn't include this in the  
25 Reg. Guide -- but if ANDE-1 later gets approved for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 use for LWRs, then it should be applicable to non-  
2 light water reactors also. But, again, this isn't  
3 what we're going to state in the Regulatory Guide at  
4 this stage.

5 Let's see. Some clarifications on  
6 performance demonstration. Again, we added a  
7 reference to the appropriate Section XI, Division 1,  
8 portion for a performance demonstration, for the  
9 approved standards for performance demonstration, in  
10 addition, came from that comment.

11 And there were various other kind of more  
12 minor clarification changes that we made throughout.

13 And that really is my last slide. I guess  
14 the one thing I would finish with was, you know, I  
15 think this was a very productive review. As I  
16 mentioned before, we see this as really a positive --  
17 it's filling a significant need for the advanced  
18 reactor community, for the non-light water reactor  
19 community.

20 We do see, as we start to get more  
21 information from applicants, as they start to use it,  
22 I'm sure we'll learn more about RIM programs and how  
23 they're developed, and how they're provided. But  
24 this, basically, provides a process.

25 As we mentioned before, it's very much a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 paradigm shift from Division 1, but, again, we think  
2 this, the ability to get this Regulatory Guide out and  
3 provide this as an option for licensees and  
4 applicants, I think is a very good thing at this  
5 stage.

6 So, let me stop there. That is my last  
7 slide. So, I'm happy to take any questions.

8 CHAIRMAN BALLINGER: This is Ron  
9 Ballinger.

10 Can we go back to the first main public  
11 comment?

12 MR. PHILPOTT: Sure.

13 CHAIRMAN BALLINGER: I forget the slide  
14 number. Yes, that will do it.

15 You can probably guess where the comments  
16 came from in this area.

17 MR. PHILPOTT: Right.

18 CHAIRMAN BALLINGER: And it kind of makes  
19 you wonder whether or not there might be a path  
20 forward for Revision X for the Reg. Guide, where you  
21 do deal with the 50.55a part for light water reactors,  
22 just regular light water reactors.

23 Is there any kind of plan for the future  
24 for this?

25 MR. PHILPOTT: So, I guess I would say, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 would start by saying, yes. I mean, not a specific  
2 plan for changing our course.

3 But, you know, it was a strategic decision  
4 to not try to change 50.55a at this stage. One of the  
5 issues, it would be very complicated to try to weave  
6 Division 2 requirements into 55a in parallel with the  
7 Division 1 requirements. And so, it would be a  
8 significant effort to take that under.

9 One of the things we are doing within the  
10 Division of New Reactors is that they are kind of  
11 pulsing and looking at some of the light water,  
12 potential light water reactor applicants and trying to  
13 gauge their interest in the use of RIM. So far,  
14 they've only identified the one key player in the use  
15 of RIM.

16 So, there are maybe one or two others that  
17 are kind of monitoring it and seeing how it goes for  
18 the advanced reactor community or for other light  
19 water reactors, but more of the interest really seems  
20 to be in the non-light water reactors right now. So,  
21 basically, what that tells us right now is, from a  
22 resource standpoint, it wouldn't make sense to try to  
23 do that now.

24 Now that could change once maybe someone  
25 implements it or they start to see it implemented. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 don't currently see any, or at least the word I saw  
2 was that we haven't seen any expressed interest from  
3 the operating fleet, for example, at this stage to use  
4 RIM. But, if that changes, then it becomes, you know,  
5 a much bigger potential resource than we do -- and as  
6 RIM evolves, you know, we could evaluate that and  
7 reconsider that decision in terms of going forward  
8 with rulemaking.

9 CHAIRMAN BALLINGER: Thanks.

10 MR. PHILPOTT: Uh-hum.

11 CHAIRMAN BALLINGER: Questions from the  
12 members or consultants?

13 MR. TURNBOW: This is --

14 CHAIRMAN BALLINGER: Whoever you are,  
15 we're breaking up.

16 MR. TURNBOW: Can you hear me now?

17 CHAIRMAN BALLINGER: Yes.

18 MR. TURNBOW: Okay, good. I'm just  
19 switching from mute over.

20 This is Mike Turnbow.

21 Concerning the response to the CP-189 ANDE  
22 comments that were just made, that's disappointing  
23 because we, the industry, built ANDE at, basically,  
24 the request of the NRC, the letter we received from  
25 you guys back several years ago about how poor NDE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 personnel performance was. And it is incredibly  
2 documented how poor it is.

3 And it continues to this day. CP-189, and  
4 even the appendices in Section XI, has done nothing to  
5 change it. The failure rate at EPRI for PDI first-  
6 timers still hovers around 50 percent, which makes no  
7 sense.

8 So, I --

9 CHAIRMAN BALLINGER: Excuse me. Excuse  
10 me. I don't know who you are. I'm guessing that  
11 you're a member of the public. If that's the case, we  
12 will entertain comments from members of the public  
13 after we get comments from members of the Committee,  
14 or the Subcommittee. Excuse me.

15 So, if this is not the case, then I  
16 apologize, but can you -- if you are what we would  
17 call a member of the public, would you wait just a few  
18 minutes until we go around the table, in effect, with  
19 members of the Subcommittee?

20 MR. TURNBOW: Okay. I'm a member, I'm a  
21 working group member of RIM, just so you know. But if  
22 you want me to wait, I'll be glad to wait.

23 CHAIRMAN BALLINGER: Okay. So now, you're  
24 in the gray area.

25 MR. TURNBOW: Yes, I'm always in the gray.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Matter of fact, all of it's gray.

2 CHAIRMAN BALLINGER: Okay. Let's get  
3 comments from Subcommittee members first, and then,  
4 we'll --

5 MR. TURNBOW: Okay.

6 CHAIRMAN BALLINGER: Okay.

7 MEMBER REMPE: Ron?

8 MEMBER KIRCHNER: Ron?

9 CHAIRMAN BALLINGER: Yes, sir or ma'am.

10 MEMBER REMPE: Go ahead, Walt.

11 MEMBER KIRCHNER: Ron, I'm thinking about  
12 the presentation we heard, and if I understood Steve  
13 correctly, the way that non-LWRs would -- let me  
14 choose my words carefully -- be required to do  
15 inservice inspection is through the content of  
16 application requirements of 50 or 52, but not through  
17 any direct regulatory requirement, such as exists in  
18 55a(g).

19 And so, what I'm thinking -- and I know  
20 Dave is on the line -- I'm thinking ahead to our  
21 deliberations about 53, and if you don't have required  
22 Principal Design Criteria or just design criteria per  
23 se, which would invoke such a requirement for purposes  
24 of, for example, pressure vessels, whether they are  
25 low or high pressure doesn't matter. Is that a gap or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is that something that we should be thinking about  
2 when we get to Subpart F of 53? So, it's just an  
3 observation. It's not a question.

4 CHAIRMAN BALLINGER: I think Dave is  
5 probably much more qualified to respond to that.

6 Dave?

7 (No response.)

8 Well --

9 MEMBER PETTI: Did you ask me something,  
10 Ron? I'm sorry, but --

11 CHAIRMAN BALLINGER: I just fingered you  
12 as being the expert for --

13 MEMBER PETTI: Oh, the cleaning lady just  
14 knocked on my door and looked in. So --

15 (Laughter.)

16 What were you saying?

17 MEMBER KIRCHNER: Well, Dave, it was Walt.  
18 I made an observation that it seems to me --

19 MEMBER PETTI: Yes, yes, I got the off-  
20 tech piece, yes.

21 MEMBER KIRCHNER: Yes, yes.

22 MEMBER PETTI: I mean, it's something to  
23 look at in Subpart F, I guess, on operations.

24 MEMBER KIRCHNER: Yes, it seems to me,  
25 without getting as prescriptive as what's in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 50.55a(g), one would want to demonstrate an equivalent  
2 level of safety for a non-LWR, inservice inspections.  
3 I'll just leave it at that high, general level without  
4 trying to resolve how one obtains that result.

5 MEMBER DIMITRIJEVIC: Well, it will be  
6 interesting what would this be in the, you know, non-  
7 PRA framework, you know, for selection of the SSCs.  
8 So, again, I think we will have to monitor how this  
9 goes in the 53.

10 MR. PHILPOTT: Uh-hum. And as I mentioned  
11 earlier, I'm certainly not a Part 53 expert. So, I  
12 don't want to speak for that team in great detail,  
13 other than to note that they have written in a section  
14 related to integrity assessment programs where this  
15 would tie in, but not -- I don't see that -- that  
16 doesn't necessarily specifically require ISI programs  
17 or have that specificity that 50.55a(g) does. It's a  
18 different approach, but -- okay.

19 CHAIRMAN BALLINGER: Did I hear --

20 MEMBER PETTI: So, just to be clear,  
21 before we go to a different topic, I have opened up  
22 the draft of Part F, and there's a whole section on  
23 maintenance, repair, and inspection programs. So,  
24 there's words in there -- "performance," "condition  
25 monitoring." I'm just skimming.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           But I'll look at it, you know, offline,  
2           but I think at least there's a hook. It may need to  
3           be noodled, but it's there. There's something there  
4           to start with.

5           MEMBER KIRCHNER: Yes. Yes. Yes, thanks,  
6           Dave.

7           The other thing I'm thinking is the Reg.  
8           Guide is guidance, and that's different than 55a(g),  
9           which is a requirement.

10          MEMBER PETTI: Right. This is in the rule  
11          text, 53.715, the draft rule text.

12          MEMBER REMPE: So, Ron, are we ready for  
13          another topic?

14          CHAIRMAN BALLINGER: Yes, I was about to  
15          -- I assumed that that was your voice that I heard.

16          MEMBER REMPE: Okay, yes, this is Joy.

17          I'm hoping I'll get my comment out. I got  
18          kicked off twice in the last 20 minutes.

19          But, anyway, I'm thinking about path  
20          forward. And in July, we had a reservation for a  
21          possible letter, which I think is not going to be a  
22          letter on this, because the staff even told us today  
23          they're going to issue this in June.

24          CHAIRMAN BALLINGER: Yes, the intent was  
25          for this to be just an information briefing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1                   MEMBER REMPE: And I think that's a good  
2 intent.

3                   On the other hand, I know that Dave has a  
4 Part 53 letter scheduled for July. And we heard  
5 yesterday that what we get on Part 53 at the upcoming  
6 Subcommittee is not a sure bet.

7                   And so, I wanted to put out there that I'm  
8 thinking that we should definitely have a letter on  
9 Part 53, but it might be, you know, whatever we get  
10 with respect to Part F and Track B, or whatever option  
11 B is, as well as maybe a section on guidance. We've  
12 heard some good things today, that there might be a  
13 worthwhile paragraph, and then, talking about how it  
14 interacts with the rulemaking language. And there's  
15 some issues about guidance that might need  
16 clarification and how important that is. But we're  
17 monitoring the staff progress on guidance to support  
18 non-LWR licensing.

19                   And I guess I'm throwing that out there  
20 for the Committee to consider, you as well as Dave,  
21 since it's his letter that he's leading.

22                   What do others think?

23                   MEMBER PETTI: No, I think it's a good  
24 idea, because there's a couple of things in my head  
25 that are not necessarily part of 53, but may be better

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 in guidance. So, it would just be a little section,  
2 like you said, where we could put some ideas together.  
3 Because, you know, the guidance in many areas hasn't  
4 been developed, but these would just be some of our  
5 thoughts to make sure that we have them on the record  
6 for the staff to think about.

7 MEMBER REMPE: Yes, in earlier letters, we  
8 talked about that. That was one of the things we  
9 highlighted, that we needed to have an idea of the  
10 guidance and its progress.

11 So, anyway, that's kind of like I thought  
12 it would be good, before we end this discussion, to  
13 have clarity. We're not going to have any more  
14 presentations or letter in July, and that topic will  
15 go off the July agenda, which hasn't been published  
16 yet. But Dave's letter will have more certainty,  
17 which wasn't very certain yesterday after what we had  
18 heard from the staff.

19 CHAIRMAN BALLINGER: Okay. Other comments  
20 from members?

21 (No response.)

22 Okay. Hearing none, now we can -- it's  
23 the appropriate time to get comments from members of  
24 the public, and even the gray area of the public  
25 members.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           So, Members of the Public, if you would  
2           like to make a comment, please state your name and  
3           make your comment.

4           MR. TURNBOW: Okay. This is Mike Turnbow  
5           again. And I'm Secretary of the working group, MANDE,  
6           under RIM; also, the Chairman of the ANDE Project,  
7           when we wrote the standard the first time, which  
8           included NRC representation throughout the entire  
9           process. I now chair the implementation piece of  
10          ANDE.

11           And my comment is, as I've stated -- just  
12          to go back over it one more time -- it's a little  
13          disappointing because we started the project at the  
14          request of the NRC several years ago. NRC sent us a  
15          letter; ASME telling us that the NDE, basically, was  
16          broke, was what the letter said, in my terms, and it  
17          should be addressed. And we committed to it, and now  
18          we've done it.

19           And it's still in accordance with the same  
20          process that -- these are power plant operators, the  
21          systematic approach to training through INPO. So, we  
22          followed that same, exact process with the NRC staff,  
23          taxpayers' money and utility money. We spent about  
24          \$2.5 million building this.

25           And so, we're at a point of implementing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 it. And it seemed like, since RIM is a new document  
2 coming out -- so is ANDE a new document coming out --  
3 it seemed it would be a perfect marriage; plus, it's  
4 performance-based, which the RIM folks are very  
5 interested in.

6 Since the beginning, since CP-189 was  
7 introduced, and all the appendices in Section XI,  
8 around '92, the pass rate at EPRI has hovered around  
9 50 percent. And all the things we've done in the Code  
10 and adding these other caveats to CP-189, still  
11 results today in a 50 percent pass rate. Basically,  
12 we've done nothing to fix that, except we've built a  
13 -- so, I'm going to stop there.

14 I know we're not going to resolve this  
15 today, but we'll just have to continue to work  
16 together and see if we can't realize we probably have  
17 the best solution on the planet right here.

18 CHAIRMAN BALLINGER: Thank you.

19 MR. TURNBOW: Thank you.

20 CHAIRMAN BALLINGER: Other members of the  
21 public that would like to make a comment?

22 (No response.)

23 Hearing none, then I think we are pretty  
24 much done.

25 I would like to thank the staff -- and I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 sure the rest of the Committee members would be the  
2 same -- for a presentation.

3 I believe -- and this is one person's  
4 opinion -- that this is a very significant change. I  
5 would, for one, would like to -- again, I keep saying  
6 that the industry has been moving in this direction  
7 within the confines of Division 1, anyway. Anybody  
8 that's been familiar with environmental degradation of  
9 materials knows this, and anybody that's read MRP-227,  
10 I think it is, or even the newest version of that,  
11 will agree.

12 But I thought it was a great presentation.  
13 And absent any additional comments from members, we  
14 would like to thank you very much for the  
15 presentation.

16 And with that being said, we are  
17 adjourned.

18 (Whereupon, at 10:12 a.m., the  
19 Subcommittee was adjourned.)  
20  
21  
22  
23  
24  
25

# Overview of ASME Section XI, Division 2, Reliability and Integrity Management (RIM) Programs for Nuclear Power Plants

May 20, 2022

Bruce Lin, Materials Engineer  
Reactor Engineering Branch  
Division of Engineering  
Office of Nuclear Regulatory Research


---

# ASME Section XI

- ASME Section XI, Division 1 was developed and evolved over 40+ years but focused on existing PWR and BWR light water reactor (LWR) technology
  - Consequently, the use of ASME Section XI, Division 1 may not be well suited for advanced Non-LWR reactor designs
- ASME Section XI, Division 2 Reliability and Integrity Management (RIM) was developed to be a “technology neutral” inservice code that can be applied to all reactor types
  - RIM has technology-specific supplements intended to account for different reactor designs
  - Many of the technology-specific supplements are still under development

# What is RIM?

- A program to ensure that passive component reliability and integrity are properly managed
- Based on achieving an acceptable level of reliability
- Implement strategies to ensure that Reliability Targets for SSCs are defined, achieved, and maintained throughout the plant lifetime




# RIM Process Philosophy

- RIM evaluates all SSCs for their impact to plant safety and reliability
- RIM establishes the examination, tests, operation, monitoring, and maintenance requirements to ensure the SSCs meet the plant risk and reliability goals
- This contrasts the prescriptive approach used by Division 1 which uses Class 1, Class 2 and Class 3 approach to ISI with each Class having less rigorous criteria

# RIM Process Overview

- Step 1: Determine Scope of SSCs for RIM Program
- Step 2: Evaluate SSC Damage Mechanisms
- Step 3: Determine Plant and SSC Level Reliability and Capability Requirements
- Step 4: Identify and Evaluate RIM Strategies to Achieve Reliability Targets
- Step 5: Evaluate Uncertainties in Reliability Performance
- Step 6: Implement RIM Program
- Step 7: Monitor SSC Reliability Performance and Update RIM Program



# Step 1: RIM Scope

- Applicable over the entire life of the plant and each passive SSC that is in scope [RIM-1.1]
- The Owner shall document the specific list of SSCs to be evaluated for inclusion within the scope of the RIM Program [RIM-2.2]
- The scope shall include SSCs whose failure could adversely affect plant safety and reliability [RIM-2.2]

# Step 2: Degradation Mechanisms Assessment

- The potential active degradation mechanisms for the SSCs within the RIM Program scope shall be identified and evaluated [RIM 2.3]
  - Design characteristics
  - Operating experience and research experience
  - Results of preservice and in-service examinations
  - Recommendations by SSC vendors
  - Applicable degradation mechanisms including those identified in the applicable Plant Type Mandatory Appendix
- The criteria used to identify and evaluate the susceptibility of each SSC to degradation mechanisms shall be specified in the RIM program documentation

# Step 3: Plant and SSC Reliability

- Plant Level Risk and Reliability Targets [RIM-2.4.1]
  - Plant level reliability shall be derived from regulatory limits on the risks, frequencies, and radiological consequences of licensing basis events that are defined in the probabilistic risk assessment (PRA)
  - Plant level RIM goals may include additional goals to meet plant availability
- SSC Level Reliability Target [RIM-2.4.2]
  - Allocation of SSC level Reliability Targets from PRA
  - Mandatory Appendix II provides a general approach
- Scope, Level of Details, and Technical Adequacy of PRA [RIM-2.4.3]
  - PRA shall meet the requirements of the ASME/ANS RA-S-1.4

# Step 4: RIM Strategies

- The RIM Expert Panel (RIMEP) shall identify the RIM strategies and evaluate and select combinations of strategies that will meet and maintain the Reliability Targets [RIM-2.5]
  - RIM strategies may include design strategies, operating practices, inservice inspection, repair and replacement practices, etc.
  - The RIM strategies shall account for the potential for specific damage mechanisms applicable to each SSC
  - Impact of each RIM strategy on the reliability of each SSC shall be assessed against the SSC-level Reliability Targets

# Step 5: Evaluate Uncertainties

- Evaluation of Uncertainties [RIM-2.6]
  - Lack of service experience
  - Unknown degradation mechanisms
  - Uncertainties in the prediction of SSC reliability
- Use of multiple strategies to address uncertainties

# Step 6: RIM Implementation

- RIM Program Documentation
  - Scope of SCCs selected for inclusion in RIM program
  - Results of degradation mechanisms assessment
  - Plant level risk and reliability goals and SCC reliability targets
  - Specific RIM strategies and their impact on SCC reliability performance
  - Evaluation of uncertainties
- RIM Program Implementation [RIM-2.7]
  - Inspection Interval
  - Preservice Inspections
  - Design Requirements for RIM
  - Leak Detection System Requirements for RIM
  - Examination and Inspection Requirements for RIM

# Step 7: RIM Program Updates

- Performance Monitoring and RIM Program Updates [RIM-2.8]
  - RIM program shall be re-evaluated to incorporate results from SSC performance monitoring and new information affecting implementation of the program
  - Examples may include changes to plant design, operating and maintenance practices, plant, industry and research experience, monitoring or examination results, regulatory requirements, PRA updates, etc.
- Minimum frequency of updates – Once per inspection interval

# Expert Panels

- RIM Expert Panel (RIMEP)
  - RIMEP is responsible for the technical oversight and direction of the risk-informed aspects of RIM program development and implementation.
    - Establishes RIM Scope
    - Establishes Reliability Targets
    - Identifies RIM Strategies
- Monitoring and NDE Expert Panel (MANDEEP)
  - Responsible for all things NDE
    - Develops MANDE specifications
    - MANDE qualification
    - Specific examination requirements
    - Minimum criteria of MANDE

# Section XI, Division 2 Organization

- RIM-1 Scope and Responsibility - Similar to Div. 1 IWA-1000
- RIM-2 Reliability and Integrity Management (RIM) Program - This article covers RIM program implementation
- RIM-3 Acceptance Standards - Appendix VII will have acceptance standards for each reactor type
- RIM-4 Repair/Replacements Activities – Done in accordance with Div. 1 IWA 4000 with a few exceptions
- RIM-5 System Leak Monitoring and Periodic Tests – Provides rules for leakage monitoring and leak testing
- RIM-6 Records and Reports – Similar to Div. 1 IWA-6000
- RIM-7 Glossary

# Section XI, Division 2 Organization

## **Mandatory Appendices**

- Appendix I, RIM Decision Flowcharts
- Appendix II, Derivation of Component Reliability Targets From Plant Safety Requirements
- Appendix III, Owner's Record and Report for RIM Program Activities
- Appendix IV, Monitoring and NDE Qualification
- Appendix V, Catalog of NDE Requirements and Areas of Interest
- Appendix VI, Reliability and Integrity Management Expert Panel
- Appendix VII, Supplements for Types of Nuclear Plants

## **Nonmandatory Appendices**

- Appendix A, Alternate Requirements for NDE and Monitoring
- Appendix B, Regulatory Administrative Provisions for Nuclear Plants Using RIM Program

# Overview of RG 1.246 Endorsement of ASME Section XI, Division 2, and Resolution of DG-1383 Public Comments

May 20, 2022

Steve Philpott, Project Manager / Acting Branch Chief  
Advanced Reactor Technical Branch 2  
Division of Advanced Reactors and Non-Power Production and Utilization  
Facilities  
Office of Nuclear Reactor Regulation

---

# Background

- ASME issued Section XI, Division 2 “Requirements for Reliability and Integrity Management (RIM) Programs for Nuclear Power Plants” in the 2019 Edition of the BPV Code.
- ASME requested NRC endorsement in October 2019.
- NRC responded to ASME in August 2020 and formed a review working group.
- Staff working group reviewed Section XI, Division 2 for endorsement via regulatory guide for applicability to non-light water reactors (Non-LWRs).

# RIM Review Summary

- Reviewed code and developed initial staff positions:  
Aug – Dec 2020
  - confirmed RIM is appropriate to endorse with conditions
- Developed staff positions and draft regulatory guide (DG-1383): Jan – Sep 2021
- Published DG-1383 in Sep 2021: 45-day public comment period
- Comment resolution and concurrence review:  
Nov 2021 – Apr 2022
- Publish Final RG: Jun 2022

# RG 1.246 Structure

- **Section A**
  - Purpose
  - Applicability (Non-LWRs)
  - Applicable Regulations and Related Guidance
- **Section B**
  - Background
  - Bases for NRC Staff Positions
- **Section C**
  - Staff Regulatory Guidance (Conditions)

# RG 1.246 Conditions

Condition 1: Applicants intending to use RIM should include a license condition / Identifies information to be included in their application

Condition 4: Changes to a RIM program and information to be provided to the NRC for review and approval / for information

Condition 10: RIM provisions “in the course of preparation” or otherwise under development

# RG 1.246 Conditions

## Additional conditions:

- Use with 2019 Edition of Section XI-Division 1
- Document how aspects of Section XI-Division 2 are considered
- ANDE-1 not approved for personnel Qualification
- Editions of supporting standards acceptable for use
- Justify acceptability of the PRA in RIM program
- Cannot override construction code NDE without approval

# RG 1.246 Conditions

## Additional conditions:

- Preservice inspections for repair and replacement
- Appendix V to be considered for low pressure applications
- Records retention to be IAW QA program requirements
- Stress relaxation to be considered as a degradation mechanism
- Liquid leak test clarifications and hold time limits
- Minor errata type corrections

# DG-1383 Public Comments

- Received 8 distinct comment submissions
- Approximately 35 individual comments
- No additional or eliminated conditions
- Clarified applicability, information to be submitted for review, and other staff positions

# DG-1383 Public Comments

- Change in Applicability: Multiple comments suggested that RG 1.246 should include applicability to LWR designs. For some LWR cooled / moderated advanced reactors, it would be difficult to implement Section XI, Division 1. RIM is intended to be technology neutral.
  - One commenter recommended rulemaking to amend 50.55(a).
  - Rulemaking is outside the scope of this RG
- Staff reviewed and is endorsing ASME BPV Code, Section XI, Division 2 only for use by non-LWRs.
  - 10 CFR 50.55a(g) mandates the use of the ASME BPV Code, Section XI, Division 1 for boiling and pressurized water-cooled reactors.
- Staff agrees that RIM was developed for any type of reactor design.
  - Added footnote in “Background” section in the RG:

“RIM was developed for any type of reactor design. However, 10 CFR 50.55a(g) mandates the use of the ASME Code, Section XI, Division 1 for boiling and pressurized reactors. If a boiling or pressurized water-cooled reactor licensee or applicant wishes to use RIM, they would need to request an exemption under 10 CFR 50.12 or 10 CFR 52.7 from 10 CFR 50.55a(g).”

# DG-1383 Public Comments

## Clarifications of Regulatory Guidance Positions

- Position 1
  - Listing of SSCs included in the scope of the RIM program rather than a summary of the bases for the scope
  - Description of the types of factors from RIM-2.5.1 used in the RIM strategies
  - Clarified justification for flaw evaluation acceptance criteria temperature limits to be consistent with the temperature limits of the applicant's construction code
- Positions 1 and 4
  - Removed the need to submit the NIS-2 form and removed references to the NIS-2
  - The term "refueling" outage was removed and changed to use the term "scheduled" outage to be consistent with Appendix B of ASME Code, Section XI, Division 2

# DG-1383 Public Comments

## Clarifications of Regulatory Guidance Positions

- Position 5
  - For use of ANSI/ASNTCP189 - added “including any conditions applied under 10 CFR 50.55a(b)(2)”
  - Added clarification for performance demonstration of NDE methods and techniques
    - Performance demonstration is beyond the scope of ANSI/ASNT CP189 and ANDE-1
    - Use Section XI, Division 1 Appendix VIII
- Additional clarification changes

# Acronyms/Abbreviations

---

ANDE	ASME Non-destructive Examination
ANS	American Nuclear Society
ASME	American Society of Mechanical Engineers
ANSI/ASNT	American National Standards Institute / American Society for Nondestructive Testing
BPV	Boiler and Pressure Vessel
BWR	Boiling Water Reactor
CFR	Code of Federal Regulations
DG	Draft Guide / Draft Regulatory Guide
ISI	Inservice Inspection
LWR	Light Water Reactor
NDE	Non-destructive Examination
Non-LWR	Non-Light Water Reactor
MANDE	Monitoring and NDE
MANDEEP	Monitoring and NDE Expert Panel
PRA	Probabilistic Risk Assessment
PWR	Pressurized Water Reactor
RIM	Reliability and Integrity Management
RIMEP	RIM Expert Panel
SSCs	Structures, Systems, and Components